

U.S. DEPARTMENT OF TRANSPORTATION
 PIPELINE AND HAZARDOUS MATERIALS
 SAFETY ADMINISTRATION

+ + + + +

GAS PIPELINE ADVISORY COMMITTEE

+ + + + +

MEETING

+ + + + +

WEDNESDAY

OCTOBER 7, 2020

+ + + + +

The Gas Pipeline Advisory Committee
 met via Videoconference, at 10:35 a.m. EDT,
 David W. Danner, Chairman, presiding.

MEMBERS PRESENT

DAVID W. DANNER, Washington Utilities and
 Transportation Commission

W. JONATHAN AIREY, Vorys, Sater, Seymour, and
 Pease, LLP

RONALD BRADLEY, PECO

MARK BROWNSTEIN, Environmental Defense Fund

DIANE BURMAN, New York State Public Service
 Commission

PETER CHACE, Public Utilities Commission of
 Ohio

J. ANDREW DRAKE, Enbridge Gas Transmission and
 Midstream

SARA ROLLET GOSMAN, University of Arkansas
 School of Law

ROBERT HILL, Brookings County Zoning & Drainage

SARA LONGAN, Alaska Department of Natural
 Resources

MARY PALKOVICH, Consumers Energy

TERRY TURPIN, Federal Energy Regulatory
 Commission

RICHARD WORSINGER, Wilson Energy

ALSO PRESENT

HOWARD "SKIP" ELLIOTT, PHMSA Administrator
DRUE PEARCE, PHMSA Deputy Administrator
BEN KOCHMAN, PHMSA Director of Governmental,
International and Public Affairs
PAUL ROBERTI, PHMSA Chief Counsel
ALAN MAYBERRY, Designated Federal Official
MASSOUD TAHAMTANI
JOHN GALE
STEVE NANNEY
CHRIS MCLAREN
SAYLER PALABRICA
GERY BAUMAN
BLAINE KEENER
MAX KIEBA
WASSEL AL-MASHAGBEH
RONALD RAUNIKAR
AMAL DERIA
ROBERT JAGGER
AMY ALLEN

PUBLIC COMMENTERS

CHRISTOPHER J. OSMAN, INGAA
MATTHEW HITE, GPA Midstream Association
SUSAN GINSBERG, Independent Petroleum
Association of America
PATRICK CAREY, Kinder Morgan
STEVEN GLASS, National Fuel Gas
MARK HERETH, Blacksmith Group
MICHAEL ELLING, Reserve Equipment, Inc.
DAVID MURK, American Petroleum Institute
DARRAL WARD, Boardwalk Pipelines
CHRIS WILLIAMS, Cheniere Energy, Inc.
LANE MILLER, TRC
BRIAN MOIDEL, Dominion Energy Ohio
ERIN KURILLA, American Public Gas Association

C-O-N-T-E-N-T-S

Introduction and Background.....	4
Vote 1:	
Topic A. Farm taps.....	20
Vote 2:	
Topic B. Pressure vessel test requirements.....	74
Vote 3:	
Topic C. Incident report criteria.....	158
Vote 4:	
Topic D. Master Meter.....	190
Topic E. Mechanical Fitting Failure Reporting.....	190
Topic F. Plastic Pipe.....	212
Vote 5:	
Topic G. Rectifier remote monitoring.....	254
Topic H. Atmospheric corrosion.....	258
Vote 6:	
Topic I. Welder requalification.....	314
Topic J. Pre-testing short segments & fabricated assemblies.....	315
Committee Report.....	323

1 P-R-O-C-E-E-D-I-N-G-S

2 10:35 a.m.

3 MR. GALE: Good morning, members,
4 and good morning, attendees. My name is John
5 Gale, and I'm the Director of the Office of
6 Standards and Rulemaking for the Office of
7 Pipeline Safety in PHMSA. And welcome to a
8 meeting of Gas Pipeline Advisory Committee to
9 discuss PHMSA's recently published Notice of
10 Proposed Rulemaking entitled Pipeline Safety:
11 Gas Pipeline Regulatory Reform.

12 This meeting is being managed
13 virtually through MS Teams with video
14 capabilities. However, presenters and members
15 of the public are not required to use video
16 when they talk. We ask, however, that
17 participants turn off their video if you are
18 not talking or if you are having bandwidth
19 issues. Also, please keep your line muted if
20 you are not talking.

21 And finally, though we do not expect
22 any issues, PHMSA will take appropriate actions

1 if an attendee gets disrupted during the
2 meeting. We also ask that only authorized
3 personnel admit persons into the meeting and
4 this will allow us to address any disruptive
5 attendees, though, of course, we do not
6 anticipate that. And with that being said, I
7 would like to turn it over to Alan and his
8 staff. If you guys could share the agenda,
9 that would be greatly appreciated and get this
10 --

11 PARTICIPANT: Can't hear you, Alan.

12 MR. MAYBERRY: Thank you. As John
13 said, I'm Alan Mayberry, Associate
14 Administrator for Pipeline Safety. And thank
15 you for joining us today at the Pipeline -- Gas
16 Pipeline Advisory Committee. Pursuant to the
17 Federal Advisory Committee Act, I'm the
18 Designated Federal Official for GPAC and will
19 serve as the presiding official today.

20 Our chairperson for the meeting is
21 the Honorable Dave Danner who's chair of the
22 Washington Utilities and Transportation

1 Commission. Before we get started, I'd like to
2 introduce several guests, special guests today.
3 You'll hear from him in a moment, the Honorable
4 Skip Elliot, the Administrator of PHMSA. We
5 also have Drue Pearce, the Deputy
6 Administrator. Paul Roberti is online
7 somewhere I know, he's our chief counsel, as
8 well as Ben Kochman, our Director of
9 Government, International, and Public Affairs.

10 Before we get started, I'll go over
11 a few housekeeping items to just ensure the
12 meeting runs smoothly today. This is a virtual
13 meeting and not all participants will have full
14 access or controls. While meeting committee
15 members have full participation access, public
16 participants will be provided the opportunity
17 to comment and ask questions at the allotted
18 times.

19 I'm sure you're familiar with our
20 format. We'll plan to have the similar format
21 that we provided before where there's an
22 opportunity for public comment. If you're not

1 presenting or speaking, please mute your
2 microphone to minimize disruptions. If
3 necessary, take a moment now to check that you
4 are muted. I think, John, you covered that as
5 well.

6 We ask that you hold any comments
7 until we open the floor for discussion. For
8 members of the public when you are
9 acknowledged, please limit your comments to
10 about two minutes or less. If necessary, the
11 chairperson may ask you to cut your comments
12 short to keep the agenda moving.

13 Now you can also submit your written
14 comments under the advisory committee docket.
15 And that docket number -- and you'll hear it
16 again and we'll have it up on screen. It's
17 PHMSA-2016-0136. And then also, a transcript
18 of this meeting will be available on public
19 docket on the meeting page, and it'll be
20 available about two to three weeks after the
21 meeting.

22 Now in an effort to maintain the

1 order and decorum and the schedule throughout
2 the meeting, we ask both the committee members
3 and the public to adhere to these basic rules
4 I'm about to cover. First, perhaps these are
5 obvious to you, but please do not delay or
6 disrupt the meeting whether by conversing
7 separately during proceedings or by causing
8 other distractions. Please don't interrupt the
9 speakers or presenters.

10 Please follow instructions of the
11 chairperson or myself during the meeting. And
12 please note that anyone who disrupts the
13 meeting will be disconnected. We have tools to
14 make that happen. Now that concludes my
15 housekeeping items.

16 I just wanted to mention, as John
17 mentioned, this is a meeting to discuss the gas
18 regulatory reform rule. I'd like to thank the
19 staff for making the meeting possible today. A
20 lot of effort went into this, and we have staff
21 strung out across the United States to present
22 to you today and cover the various topics that

1 we have.

2 So not only with COVID and dealing
3 with the pandemic since March, it's presented
4 its own challenges. But I can tell you related
5 to moving policies forward such as the one
6 we're talking about today, the staff of PHMSA,
7 I'm just so proud of, stepped up to the
8 challenge to make this meeting possible, and
9 others possible, as well, that we've had.
10 You're well aware of the progress that we've
11 made on a number of fronts, and here today,
12 again, the topic is gas reg reform.

13 So that concludes what I had to say.
14 At this point, I'll turn it over to the
15 Honorable Dave Danner for you to kick it off.
16 And Dave, thanks. Over to you.

17 CHAIRMAN DANNER: All right. Thank
18 you. Good morning, Alan. Can you hear me?

19 PARTICIPANT: Yes.

20 CHAIRMAN DANNER: All right, great.
21 Thank you. All right. As Alan said, my name
22 is Dave Danner. I'm the chair of the

1 Washington Utilities and Transportation
2 Commission, and I'll be serving as the
3 chairperson for the meeting this morning. So
4 my job is to official call this meeting to
5 order, and I hereby call this meeting to order,
6 this meeting of the Gas Pipeline Advisory
7 Committee.

8 So, this meeting is being recorded,
9 and a transcript will be produced for the
10 record. The transcript and the presentations
11 will be available on the meeting page of the
12 PHMSA website, and that's primis.phmsa.dot.gov.
13 So that's primis, P-R-I-M-I-S, dot, P-H-M-S-A,
14 dot, D-O-T, dot, G-O-V. It's also on the eGov
15 docket on Regulations.gov, regulations, dot, G-
16 O-V. The docket number for this meeting is
17 PHMSA-2016-0136. That's PHMSA-2016-0136.

18 Before we get started again, a few
19 reminders as we've already suggested. Please
20 remember to introduce yourselves each time you
21 speak so the comments can be picked up and
22 properly recorded in the transcript for the

1 meeting. Additionally, members should hit the
2 Raise Hand on the toolbar of Microsoft Teams,
3 and that alerts us if they wish to make a
4 comment and I will call on you. So at this
5 point, let's take a roll call. Cameron, are
6 you on the line?

7 MR. SATTERTHWAITE: I am here.

8 CHAIRMAN DANNER: Great. Can I ask
9 you to take roll?

10 MR. SATTERTHWAITE: All right. So
11 I'm going to call each member and if you can
12 just say, here, and I will mark you down.
13 Diane Burman?

14 MS. BURMAN: I am here. Just a
15 note. I will be offline between 11:00 and
16 11:30 for a conflict, but then I'll be right
17 back. Thank you.

18 MR. SATTERTHWAITE: Okay. Thank
19 you. Peter Chace?

20 MR. CHACE: I'm here.

21 MR. SATTERTHWAITE: David Danner?

22 CHAIRMAN DANNER: Here.

1 MR. SATTERTHWAITE: Sara Longan?

2 DR. LONGAN: Good morning. Here.

3 MR. SATTERTHWAITE: Good morning.

4 Terry Turpin?

5 MR. TURPIN: Here. Just noting that

6 I will also be offline between 2:00 and 3:30

7 for a conflict.

8 MR. SATTERTHWAITE: All right. Ron

9 Bradley?

10 MR. BRADLEY: Good morning. Here.

11 MR. SATTERTHWAITE: Andy Drake?

12 MR. DRAKE: Here.

13 MR. SATTERTHWAITE: Mary Palkovich?

14 MS. PALKOVICH: I'm here.

15 MR. SATTERTHWAITE: Richard

16 Worsinger?

17 MR. WORSINGER: Here. Good morning.

18 MR. SATTERTHWAITE: Chad Zamarin?

19 (No audible response.)

20 MR. SATTERTHWAITE: Jon Airey?

21 MR. AIREY: Here.

22 MR. SATTERTHWAITE: Michael Balboni?

1 (No audible response.)

2 MR. SATTERTHWAITE: All right. Mark
3 Brownstein?

4 MR. BROWNSTEIN: Here.

5 MR. SATTERTHWAITE: Sara Gosman?

6 MS. GOSMAN: Here.

7 MR. SATTERTHWAITE: And Robert Hill?

8 MR. HILL: Here.

9 MR. SATTERTHWAITE: All right. We
10 have a quorum. Back to you, Dave.

11 CHAIRMAN DANNER: Thank you. So we
12 do have the majority of the members present.
13 I'm going to hand things back to Alan Mayberry
14 at this time and he will introduce the PHMSA
15 attendees. Alan?

16 MR. MAYBERRY: Okay, thanks.
17 Whoops. Thank you, Dave. Well, for starters,
18 we have John Gale, Sayler Palabrica, Cameron
19 Satterthwaite who you've heard from. We also
20 have Lauren Clegg who's our staff attorney
21 today. And in addition to who I covered so
22 far, I think that covers it. I'll turn it back

1 to you, Chairman Danner.

2 CHAIRMAN DANNER: All right, great.
3 So at this point, we're just going to review
4 the agenda. We have today we are being asked
5 to take six votes on a number of topics: farm
6 taps, pressure vessel test requirements,
7 incident report criteria, master meters,
8 mechanical fitting failure reporting, plastic
9 pipe, rectifier remote monitoring, atmospheric
10 corrosion, welder re-qualification, and pre-
11 testing short segments and fabricated
12 assemblies.

13 We will take each of these topics in
14 order. Some of the votes, we will be grouping
15 several topics together. If we have a need to
16 break those out to take separate votes, we will
17 do so.

18 At this point, Alan, I'm going to
19 turn it back to you and we'll get right into
20 the first topic area if that's okay with you,
21 unless there's anything else we need to cover.
22 Oh, I think -- excuse me. First of all, we're

1 going to hear from our administrator, Skip
2 Elliott. So do you want to make the
3 introductions?

4 MR. MAYBERRY: I think you already
5 have. But thank you, Dave. I'd like to
6 introduce Howard "Skip" Elliott, our
7 administrator. Skip, we look forward to
8 hearing your remarks today.

9 ADMINISTRATOR ELLIOTT: Thank you.
10 All right, Chairman Danner and members of the
11 committee, it's good to be with you today. And
12 thanks for giving me the opportunity to speak
13 with you about pipeline safety.

14 I'm delighted to be here today using
15 some of this new technology. Actually, I'm
16 just in the room right across the hall from
17 where the PHMSA staff is meeting. So we're
18 trying some new technology today. But I'd also
19 like to thank you for your flexibility
20 regarding the virtual meeting. I know that
21 this is still something we're trying to get
22 used to. And I'd like to say how grateful I am

1 that you're able to join us today given perhaps
2 some of the technological issues that might
3 occur.

4 I'm now moving, hard to believe,
5 into my fourth year here at PHMSA. As many of
6 you are probably aware, prior to joining PHMSA,
7 I worked in the freight rail industry for many
8 years where I focused on a variety of topics
9 that included public safety, security, the
10 environment, occupational health, and most of
11 all, the safe transportation of hazardous
12 materials. During my 40 years with the
13 railroad industry, I did witness devastating
14 impacts that major incidents can have on
15 people, communities, and the environment. And
16 it's these experiences that shaped my personal
17 commitment so much so that I really firmly
18 believe that it must always be PHMSA's top
19 priority.

20 As you know, PHMSA's mission is to
21 protect people and the environment by advancing
22 the safe transportation of energy products and

1 other hazardous materials that are essential to
2 our daily lives. The nation's 2.0-million-mile
3 pipeline transportation system carries the vast
4 majority of gas used to power and heat American
5 homes and businesses. In pursuit of our
6 mission, PHMSA promotes the safe, reliable, and
7 environmentally sound operation of that vital
8 energy system.

9 Like, Alan, I am extremely proud of
10 the dedicate professionals here at PHMSA who
11 work hard every day to achieve this mission
12 through comprehensive inspections,
13 investigations, public and industry outreach,
14 policy, and rulemaking. And this Gas Pipeline
15 Advisory Committee serves as a key part in the
16 rulemaking process. The input that you provide
17 helps inform our rulemaking and allows us to
18 make the best possible decisions regarding
19 pipeline safety.

20 I'm continually impressed by the
21 quality, diversity, and dedication of our
22 advisory committee members. So I think it's

1 appropriate to pause and thank you once again
2 for your selfless commitment to the Gas
3 Pipeline Advisory Committee. You are all
4 essential in attaining PHMSA's pipeline safety
5 objectives.

6 I'm proud to say that PHMSA's three
7 federal advisory committees are often seen as
8 among the very best at DOT, and we really have
9 you to thank for that. But neither PHMSA nor
10 all of you can meet our shared safety goals
11 alone. We're all here today in recognition of
12 the fact that while countless stakeholders are
13 involved with pipeline safety, identifying and
14 resolving pipeline safety issues is a joint
15 responsibility. Despite the pipeline
16 industry's admirable safety record, there is
17 always room for improvement. In fact, I will
18 always remain confident that we can reach the
19 aspirational but achievable goal of zero
20 incidents.

21 We cannot reverse the events that
22 led to prior accidents. But what we can do and

1 what we must do is come together to develop
2 innovative solutions to pipeline problems, thus
3 strengthening the industry while protecting the
4 people it benefits. For its part, PHMSA is
5 working to promulgate rules to help operators
6 identify issues and abide by safety regulations
7 that correct issues and concerns so that they
8 never become serious problems.

9 Today, you'll discuss one of these
10 rules, the Gas Pipeline Regulatory Reform,
11 Notice of Proposed Rulemaking. This rule
12 adopts several regulatory relief items that
13 have evolved from petitions for rulemaking,
14 PHMSA staff remember, and public comments.
15 This rule includes several amendments that will
16 alleviate certain regulatory burdens on the
17 construction, maintenance, and operation of gas
18 transmission, distribution, and gathering
19 systems while maintaining the safety of such
20 facilities.

21 We've worked together to accomplish
22 great things, but I think it's important that

1 we always look to the future. Yes, our
2 nation's pipeline system is incredibly safe.
3 But we must continually chase our goal of zero
4 incidents. One of the most important questions
5 we should ask ourselves is, what more can we do
6 to ensure pipeline safety?

7 I encourage you to take advantage of
8 our time together to offer your input and help
9 create a rule that will meaningfully enhance
10 safety. This will help protect both people in
11 the environment while improving the nation's
12 pipeline system. Thank you all for working
13 with us to create the best safety standards for
14 everyone involved because at the end of the
15 day, we're all in this together. Thank you so
16 much for your time today and good luck with
17 your meeting.

18 CHAIRMAN DANNER: Thank you so much,
19 Administrator Elliott, and I hope we will do
20 you proud today. At this point, I would like
21 to turn it over to PHMSA staff and let's just
22 get right into the first issue which is farm

1 taps. So let me turn it over to Alan or John.

2 MR. GALE: Thank you, Chairman
3 Danner. Members and public, this is John Gale,
4 the Director of Standards of Rulemaking in the
5 Office of Pipeline Safety. Sorry, just getting
6 my microphone set up here. And Bobby, thank
7 you for putting the slide deck up on the
8 screen.

9 And, also, just to point out, if
10 anyone has any IT issues during the meeting,
11 for the members, there's some information on
12 your meeting invite, some contact info you can
13 call if you need to talk to folks. And also
14 for the members of the public, there's
15 information and contact info that you can use
16 on the meeting page. So with that being said,
17 like Chairman Danner said, let's get into our
18 topic today which again is our Gas Regulatory
19 Reform Rule. Bobby, if we can go to the next
20 slide.

21 And before we get directly into farm
22 taps, we're going to give a little background

1 information. As you've probably heard before
2 today, we're going to break this rulemaking
3 into about six votes. Vote 1 will be farm
4 taps. Vote 2 will be our pressure vessel
5 testing requirements. Vote 3 will be the
6 incident reporting criteria.

7 And then we're going to have a
8 couple votes where we're going to mix a couple
9 topics together just for time and expediency.
10 But as Chairman Danner mentioned, if the
11 conversation is such that we need to split
12 those topics out, we will. So Vote 4 will be
13 master meters and also mechanical failure
14 reporting requirements and then also then
15 plastic pipe. Next slide, please.

16 Then Vote 5, we'll get into the
17 issues of rectifier remote monitoring and
18 atmospheric corrosion. And then Vote 6 will be
19 welding process requirements and pre-testing
20 short segments and fabricated assemblies. And
21 also because of the diversity of these
22 comments, we're going to have different

1 speakers today on different topics.

2 And also we have a variety of SMEs
3 available, different subject matter experts
4 available depending on the topic. We have
5 Blaine Keener here for us to support us in
6 discussing incident reporting and Chris McLaren
7 here supporting us on a variety of distribution
8 issues. And Mr. Nanney of course is always a
9 participant in our meetings, no matter the
10 topic. Max Kieba is here to support us on some
11 plastic pipe issues, and Mr. Gary Bauman is
12 here also to support us on some welding
13 requirements.

14 The final vote will also then be a
15 vote on our committee report. It was an
16 additional vote we now do at the end of our
17 meetings to make sure that this vote --
18 basically this transcript and the votes
19 recorded represent the report required by the
20 statute that constitutes this advisory
21 committee. So Bobby, next slide, please.

22 So a little background information.

1 So this rulemaking has its origins in a couple
2 of executive orders regarding regulatory
3 reform. And the first one is Executive Order
4 13,771 titled Reducing Regulation and
5 Controlling Regulatory Costs which basically
6 established expectations of two regulatory
7 actions for each significant regulatory action
8 or referred to as the Two-For-One. And it also
9 set the department's regulatory cost budgeting
10 scheme associated with regulatory development.

11 The next executive order was
12 Executive Order 13,777 entitled Enforcing the
13 Regulatory Reform Agenda which required
14 agencies to establish a regulatory reform task
15 force and identify potential deregulatory
16 actions. And finally, there was Executive
17 Order 13,783 entitled Promoting Energy
18 Independence and Economic Growth which requires
19 agencies to identify burdens on energy
20 resources. Next slide, please.

21 So in response to those executive
22 orders, the department took several actions.

1 First, DOT proposed a notice in the Federal
2 Register called the Transportation and
3 Infrastructure Notice which solicited comments
4 on regulations that pose obstacles for
5 transportation infrastructure. The DOT
6 received over 200 comments, including 6
7 relevant to pipeline safety regulations in
8 response to that notice. There was also the
9 DOT Notice of Regulatory Reform published in
10 2017 which requested comment on rules and other
11 actions eligible for repeal, replacement,
12 suspension, or modification without
13 compromising safety. DOT received over 3,000
14 public comments, approximately 30 of which were
15 relevant to pipeline safety regulations.

16 And also something I'm personally
17 very proud of, we also constitute out our own
18 review of the regulations. We establish groups
19 looking at all aspects of the regulations, both
20 hazardous liquid and gas, gas distribution, gas
21 transmission, et cetera, and looking at our
22 regulations, looking at our petitioners for

1 rulemaking and basically got our folks together
2 to identify where those areas of the
3 regulations needed review and needed revision
4 to maintain safety but at the same possibly
5 provide cost savings burden.

6 And I think it's very important to
7 point out that during that whole development,
8 our administrator, Skip Elliot, and our deputy
9 administrator, Drue Pearce, were very adamant
10 that while we were developing these proposals
11 and these recommendations that though we can
12 look and try to save cost burdens where
13 appropriate that it was also very important not
14 to drop the safety bar at all. And that was a
15 very strict standard that both of them imposed
16 on us. And we have very important, very
17 difficult discussions on all these proposals to
18 assure that that occurred. Next slide, please.

19 So based on that background back in
20 June of 2020, PHMSA proposed an NPRM that
21 proposed ten amendments to the gas pipeline
22 safety regulations. And these proposals were

1 drawn from the executive order, the regulatory
2 reform docket comments, the infrastructure
3 docket comments, petitions, and of course, the
4 PHMSA staff review that I mentioned earlier.

5 And PHMSA estimates that the ten
6 proposed amendments would result in a cost
7 savings of approximately 129 million dollars in
8 annualized cost savings for the industry. In
9 addition, PHMSA proposed a parallel NPRM for
10 hazardous liquid issues. And those topics,
11 including the amendments to part 190 that
12 affect gas will be considered in a separate
13 meeting and we hope to have probably beginning
14 of next year sometime.

15 So this slide here basically gives
16 you a quick overview of what the cost savings
17 are for each element. Again, we're dealing
18 with ten separate and distinct elements. And
19 as you can see here, the cost savings really
20 are driven by two different proposals, the farm
21 taps and the atmosphere corrosion. There is
22 also some associated cost savings or quantified

1 cost savings for master meters, mechanical
2 fitting failure incident definition.

3 But as you can see, the majority of
4 the cost savings are driven from the farm tap
5 proposal and the proposal related to atmosphere
6 corrosion monitoring. And what I'd like to do
7 real quick is go through a couple slides now.
8 And what we'll do is just kind of outline, and
9 these are just summary slides from the cost
10 benefit analysis or the regulatory impact
11 analysis on these different proposals. So you
12 have an idea of how we came up with those cost
13 savings numbers.

14 So regarding farm taps, for farm
15 taps operated by distribution operators, and
16 this is based on comments from the American Gas
17 Association, PHMSA estimated that there were
18 approximately 81,000 farm taps are operated by
19 local distribution companies for a net cost
20 savings of 1,546 dollars every three years.
21 And that basically comes from a cost savings of
22 1,625 dollars for each 192.740 inspection,

1 which occur once every three years, minus the
2 cost associated with including this farm tap
3 now in DIMP of 79 dollars. And that ends up
4 with a cost savings for gas distribution
5 operators of approximately 42 million dollars.

6 For our farm taps operated by
7 unregulated gathering and production lines, and
8 this again was based on comments from IPAA and
9 other production gathering organizations, PHMSA
10 estimated that there were approximately 75,000
11 farm taps connected to unregulated source lines
12 with an average cost of 192.740 inspection of
13 1,013 dollars every three years which equates
14 out to basically an annual cost savings of 25
15 million dollars. PHMSA anticipates that
16 operators of farm taps connected to regulated
17 gathering and transmission lines will continue
18 to comply with 192.740 and therefore will not
19 experience any cost savings. And the grand
20 total of that cost savings ends up being
21 roughly 64 million dollars per year. Next
22 slide, please.

1 In this slide, it's a little long.
2 But it basically outlines the cost savings
3 associated with our atmospheric corrosion
4 monitoring requirements. So the cost savings
5 from reduced inspection frequency is 30 million
6 dollars in year 1 and increases over time. And
7 so there's a little bit of a difference with
8 the number you see of the 61 at the bottom
9 there -- 61 million dollars.

10 The cost savings represents the
11 difference between the cost to perform
12 atmospheric corrosion inspection on service
13 lines with remotely read meters every five
14 years versus every three years. Service lines
15 with manually read meters are visited routinely
16 by operator personnel and therefore do not
17 result in cost savings. Based on annual
18 reports, PHMSA estimated approximately 68
19 million service lines in year 1 and increases
20 by 0.57 percent each year.

21 Based on industry comments, PHMSA
22 estimates that approximately 47 percent of

1 service lines include remote meter reading
2 technology and that the share of remotely read
3 meters will increase over the assessment
4 period. In year 1, PHMSA estimates 30 million
5 remote meters -- 32 million remote meters. I'm
6 sorry. PHMSA estimated that an atmospheric
7 corrosion inspection takes approximately 0.2
8 hours with a \$40.13 hourly cost of labor,
9 assuming that a meter reader can inspect five
10 service lines in an hour on average.

11 Then the cost savings from
12 coordinating inspections is nine million
13 dollars in year 1 and again increases over
14 time. That cost savings represents the cost
15 difference between performing an AC survey on
16 its own compared with a cost to add an AC
17 survey to a leak survey multiplied by the
18 number of AC surveys each year on a five-year
19 interval. APGA commented that adding an AC
20 inspection to a leakage survey is approximately
21 \$4.50 each, excluding overhead labor costs.
22 And PHMSA estimated a cost savings of close to

1 a dollar per inspection, including overhead.
2 And that ended up representing a total
3 annualized cost savings of 61 million dollars.

4 Next side, please. And this is the
5 last slide on RIA. I'll represent some of the
6 other proposals that had a quantifiable cost
7 savings related to master meters and the MMF
8 form and the incident definition. And
9 basically, for the master meters which estimate
10 a cost savings of 480,000 dollars per year.

11 PHMSA estimates an average hourly cost for
12 integrity management personnel of approximately
13 90 dollars per hour.

14 New master meter operators save 22
15 hours up front from avoided IM plan preparation
16 and threat identification burden. Both new and
17 existing master meters say four hours every
18 five years from avoided plan updates. PHMSA
19 determined that there are approximately 5,461
20 existing master meters, 30 new master meters
21 each year, and 30 master meters exit the market
22 each year. And that gets us to our cost

1 savings of approximately 480,000 dollars per
2 year.

3 For the mechanical fitting failure
4 form, we estimated cost savings of 940,000
5 dollars per year with an average of 13,000
6 mechanical fitting forms each year,
7 approximately one hour per form with a net
8 reduction times the labor rate of roughly 76
9 dollars per hour. So as you can see here, it
10 says a mechanical fitting failure form takes
11 approximately one hour to fill out and that
12 providing the total number of MMS on the
13 distribution annual report would be 5 percent
14 as burdensome and therefore resulting in the
15 0.95 hours per report savings.

16 Regarding the incident definition
17 which we believe will save roughly 30,000
18 dollars per year, it equates to a savings of 40
19 fewer incident reports per year times 10 hours
20 per report multiplied by a labor rate of
21 approximately 76 dollars per hour. Based on
22 incident reports between 2010 and 2018, PHMSA

1 estimated that approximately 40 incidents per
2 year resulted in property damage between 50,000
3 dollars and 122,000 dollars which is the new
4 number that was proposed in the NPRM and did
5 not result in other reportable consequences.
6 These would not be reported under the proposed
7 rule, in other words.

8 And then below there, you can see
9 the breakdown between the different areas that
10 impact roughly 26 distribution incidents, 13
11 gas transmission incidents, et cetera, and that
12 each incident report takes about ten hours to
13 prepare with an average labor rate of 76
14 dollars per hour. And that's how we get to our
15 cost savings of approximately 30,000 dollars
16 per year. Next slide, please.

17 And that covers our discussion of
18 the RIA and the little summary of the RIA
19 there. And what I'd like to do is get into a
20 little bit of the general comment discussion we
21 received on this rulemaking. We received 43
22 comments to the NPRM. The industry and

1 operator groups included TC Energy, Oleksa and
2 Associates, Sander Resources, AmeriGas Propane,
3 Superior Plus Propane, Southwest Gas, Norton
4 McMurray, and Theresa Pugh Consulting.

5 The industry trades included
6 American Gas Association, American Petroleum
7 Institute, American Public Gas Association and
8 INGAA, otherwise known as the Associations, GPA
9 Midstream, Independent Petroleum Association of
10 America, Pennsylvania Independent Oil & Gas
11 Association, Ohio Oil & Gas Association,
12 National Propane Gas Association, and the
13 Plastics Pipe Institute. From some of the
14 government groups, we received comments from
15 NTSB and NAPSR. And from public advocacy
16 groups, we received from the Pipeline Safety
17 Trust and the Freedomworks Foundation. And we
18 also received several citizen comments. Next
19 slide, please.

20 And so I'd like to real quick go
21 through some of the general comments before we
22 get into farm taps, our first topic. So some

1 of the general comments, the majority of
2 pipeline industry commenters generally
3 supported the proposed regulatory changes,
4 agreed that pipeline safety would not be
5 reduced, and recognized that a cost savings
6 would result. Specific comments or requested
7 modifications are addressed individually in
8 this meeting.

9 Multiple public commenters opposed
10 any reduction in regulatory requirements. One
11 commenter requests maintaining the current
12 level of safety standards and another
13 recommends that the pipeline industry reduce
14 pipeline mileage and move toward renewable
15 energy. PHMSA's response, PHMSA appreciates
16 the comments received in response to the NPRM
17 topics. The proposed amendments have been
18 determined to maintain the current level of
19 safety standards. Next slide, please.

20 Multiple commenters supported
21 updates to the Incorporation by Reference
22 standards to incorporate more recent revisions

1 to those standards. GPA Midstream specifically
2 requested that PHMSA enhance the IBR process to
3 review updated versions of documents already
4 IBR and either adopt the latest edition or
5 provide an explanation for not adopting the
6 document within one year of publication.

7 PHMSA's response, PHMSA will consider these
8 comments and recommendations for future
9 rulemaking actions.

10 PHMSA reviews and, if appropriate,
11 updates standards incorporated by reference
12 periodically. Additional standards not
13 referenced in the NPRM are being considered for
14 updates in separate actions. And I would like
15 to point out we actually have two rulemaking
16 actions initiated, and we have Rulemaking
17 Identification No. 4 to address specifically
18 our outdated standards. Next slide, please.

19 Next slide, please.

20 The PST commented on the general
21 methodology used for the regulatory impact
22 analysis, questioning that industry burden is

1 identified as negative costs rather than
2 benefits as well as lacking explicit quantified
3 benefit from the proposed rule elimination or
4 revision. Benefits are presented as no
5 expected degradation of safety. Pipeline
6 Safety Trust also reminds PHMSA that they
7 believe a cost benefit test is not appropriate
8 in the context of regulations related to human
9 health and safety, nor an appropriate way to
10 decide whether the regulations should be
11 altered.

12 One industry SME requested
13 modification to the cost benefit analysis and
14 methodology to account for secondary effects on
15 customers for unplanned, emergency outages.
16 Next slide, please. PHMSA's response, the
17 Office Management and Budget, or OMB, directs
18 federal agencies to account for economic
19 impacts to a regulated community on the cost-
20 side of the ledger. Therefore, the cost-
21 savings to an operator are appropriately
22 treated as negative costs in the RIA.

1 PHMSA has considered the safety
2 impacts of the proposed rule based on available
3 research and information to ensure that the
4 proposed amendments would not reduce pipeline
5 safety. The Pipeline Safety Act and Executive
6 Order 12,866 which addresses rulemaking
7 development and OMB guidance require PHMSA
8 consider the costs and benefits of pipeline
9 safety standards. PHMSA is performing research
10 on the costs that pipeline failures impose on
11 downstream customers, however PHMSA does not
12 anticipate the proposed rule would be adversely
13 impact the reliability of the gas pipeline
14 transportation system. Next slide, please.

15 Okay. What we'd like to do now is
16 move into some of our topics. We'll have
17 different presenters for these topics. And the
18 first topic we're going to have is farm taps,
19 and that's going to be led by Sayler Palabrica
20 who's going to be supported by Mr. Chris
21 McLaren from a technical standpoint. Sayler?

22 MR. PALABRICA: Thank you, John. To

1 begin with, we'll go into what we're talking
2 about when we refer to farm taps as they relate
3 to 192.740 and distribution integrity
4 management program requirements. So the most
5 important thing is that the term, farm tap, is
6 not a regulatory classification or definition
7 in neither part 191 nor part 192.

8 However, the term colloquially
9 refers to a pipeline providing gas services to
10 customers along a transmission, gathering, or
11 production pipeline rather than from a
12 traditional distribution system. And also, we
13 note that delivering natural gas to a
14 residential or commercial customer is not a
15 production or gathering function under either
16 part 192 or API Recommended Practice 80.

17 So on farm taps, operators often
18 agree to provide gas service to landowners
19 along a pipeline in exchange for a right-of-way
20 agreement or other terms. These are typically
21 but not always in Class 1 locations, which is
22 where the term, farm tap, originates.

1 Significant portions of a farm tap may be owned
2 or maintained by the customer.

3 There are some unique safety
4 considerations with these facilities. Unlike a
5 typical distribution system, the source
6 pipeline may operate at high pressures and the
7 source pipe is also typically not odorized
8 unlike a distribution system which must be
9 odorized. By definition, the source pipeline
10 is not typically operated by a local
11 distribution company. And the farm tap itself
12 may be operated by the source pipeline
13 operator, a local distribution company, the
14 customer, or some combination of those or other
15 entities.

16 In 2015, we published a final rule
17 attempting to eliminate duplicative integrity
18 management requirements while addressing over
19 pressurization risks for farm tap customers.
20 That rule exempted individual service lines
21 directly connected to production, gathering,
22 and transmission pipelines. In other words,

1 the service line portion of a farm tap from
2 distribution integrity program requirements.
3 However, it instead required operators inspect
4 pressure regulating devices on farm tap service
5 lines once every three years, and that's in the
6 new section 192.740.

7 However, some farm taps are owned or
8 operated by local distribution companies. And
9 these distribution operators favored applying
10 the existing DIMP requirements that we had
11 accepted them from versus implementing the new
12 prescriptive inspection requirements. However,
13 the transmission or gathering operators
14 typically preferred a prescriptive inspection
15 requirement to establishing a new integrity
16 management plan for these secondary
17 infrastructure.

18 In addition to the proposed rule,
19 PHMSA has initiated the following projects with
20 regard to farm taps, the first of which is an
21 exercise of enforcement discretion published in
22 March of 2019. And that indicated that PHMSA

1 would not pursue enforcement of 192.740 for
2 farm taps included under a DIMP. And this
3 policy would be codified by the proposed rule
4 finalized.

5 Additionally, PHMSA published a
6 proposed farm taps frequently asked questions
7 on April of 2020, and this consists of 20 FAQs
8 on the applicability of parts 191 and 192 with
9 respect to farm tap facilities. PHMSA is
10 working on finalizing this document considering
11 the public comments. And we will publish
12 updated guidance on the agency website when
13 that's complete.

14 So in the NPRM that we're discussing
15 today, PHMSA proposed the following for a
16 service line directly connected to a regulated
17 gathering line or a transmission line that is
18 included in a DIMP program is exempt from the
19 inspection requirement at 192.740. And that
20 codifies the enforcement discretion that we
21 just discussed. A farm tap service line that
22 is not included in the DIMP must continue to be

1 inspected per 192.740. So in other words, they
2 have the choice to comply without a 740 or a
3 DIMP. Service lines connected to non-regulated
4 gathering or production source pipelines would
5 be exempt from 192.740 and annual reporting.
6 And then the existing DIMP exception would
7 continue to apply.

8 So PHMSA estimated that the NPRM
9 would affect approximately 150,000 farm taps
10 divided between farm taps operated by local
11 distribution companies and farm taps connected
12 to unregulated gathering and production
13 pipelines. And like we stated earlier in the
14 presentation, PHMSA assumes that farm taps
15 operated by transmission or regulated gathering
16 operators will continue to comply with the
17 existing 192.740 inspection requirement and
18 therefore would not be affected by the proposed
19 rule. So regarding comments, some gathering
20 operators and producers commented that the part
21 192 requirements for distribution pipelines do
22 not or should not apply to farm taps connected

1 to production pipelines and rural gathering
2 lines, and they request explicit regulatory
3 exceptions to all or portions of 192 and 191
4 for such facilities.

5 The -- I believe that's the
6 Independent Oil & Gas Association of West
7 Virginia commented that even as revised, the
8 proposed farm tap rules are not justified and
9 that a producer or unregulated gathering line
10 operator with one qualifying farm tap could be
11 subject to hundreds of regulations otherwise
12 not applicable. And the IPAA noted that many
13 farm taps and related facilities are a result
14 of state statutes or regulations which govern
15 contractual agreements between producers and
16 landowners or other parties and that imposing
17 regulations on those facilities interferes with
18 their established contractual -- sorry,
19 something popped up on my screen -- or
20 statutory relations.

21 So PHMSA's response is that
22 regulation of service lines and farm tap

1 configurations is not a new feature of either
2 the NPRM or the 2015 Miscellaneous Rule. The
3 modern definition for the endpoint of a service
4 line was finalized in April of 1973. And
5 regulation of farm taps and other delivery
6 lines where a meter is not present was an
7 explicit goal of the NPRM for that action. And
8 excluding service lines connected to
9 unregulated gathering and production pipelines
10 from the scope of part 191 and 192 would be a
11 consequential change outside the scope of the
12 NPRM. And we can move on to the next slide.

13 The IPAA and supporting
14 organizations commented that the prior
15 discussions of farm taps have not fully
16 addressed issues related to definitions,
17 terminology and clear requirements for farm
18 taps. IPAA and the IOGAWV requests that PHMSA
19 explicitly exclude farm taps originating from
20 nonregulated lines and the definition of a
21 service line or clarify in the proposed Farm
22 Tap FAQs that customer-owned lines and

1 equipment are not jurisdictional.

2 PHMSA's response, the intent of the
3 proposed rule is solely to address the
4 applicability of 192.740 and DIMP requirements
5 for farm taps rather than to resolve the
6 broader definitional issues associated with
7 farm tap service lines. PHMSA will consider
8 these comments and fully respond to these and
9 specifically the issue of operator
10 responsibility for customer-owned service lines
11 when we move to finalized the proposed Farm Tap
12 FAQs. And we repeat that excluding farm taps -
13 - excluding service lines connected to
14 unregulated gathering and production pipelines
15 from the scope of 191 and 192 entirely would be
16 a consequential change outside of the scope of
17 the proposed rule.

18 So moving on to additional comments.
19 The Associations generally supported the
20 amendment but opposed the implied definition of
21 the start of a service line in paragraph
22 (c)(4). They and others requested that

1 operators be allowed to voluntarily classify
2 far taps or other service line piping in the
3 same manner as the regulated source pipeline,
4 i.e., as regulated gathering or transmission
5 depending on what it's connected it, even if it
6 could be classified as distribution. And then
7 all applicable regulations would apply on the
8 classification, and that's based on comments
9 that they have made on the proposed safety of
10 gas transmission and gas gathering rule.

11 TC Energy suggested revisions to
12 192.740 in lieu of defining where farm tap
13 service lines start that would instead apply
14 the requirement to any pipeline, other than one
15 that is operated as part of a gas distribution
16 system that delivers gas to a farm tap
17 customer. So more comments related to
18 definitions, several industry commenters
19 requested that PHMSA update or create
20 definitions for transmission line, service
21 line, farm taps, and distribution center.

22 Additional industry comments suggest

1 PHMSA allow operators to establish variable
2 start points for service lines in farm tap
3 configurations reflecting the variability of
4 equipment, ownership changes, and operating
5 pressures on such facilities. Industry
6 commenters also suggested that PHMSA recognize
7 that an operator can deliver gas directly to
8 customer piping directly from a production,
9 gathering, or transmission line without first
10 passing through a service line. Again, this
11 rulemaking was intended only to address the
12 applicability of 192.740 and DIMP requirements.

13 Therefore, PHMSA suggests removing
14 paragraph (c)(4), thus eliminating language
15 implying when a service line begins. Regarding
16 the number of definitional issues, we will
17 attempt to address these to the extent possible
18 in the proposed Farm Tap FAQs. Additionally,
19 certain aspects of the transmission line
20 definition raised by commenters are being
21 considered as part of the safety of Gas
22 Transmission and Gas Gathering proposed rule

1 proceedings.

2 Finally, future rulemaking may be
3 considered if necessary to address any
4 remaining definition-related issues surrounding
5 farm taps once those actions are completed.
6 This concludes the PHMSA response to comments
7 on the Farm Tap topic. In light of the
8 comments received from the NPRM, PHMSA
9 recommends the Committee consider adopting the
10 proposal with the following change, and that is
11 removing the proposed paragraph 192.740(c)(4),
12 eliminating language implying when a service
13 line begins in a farm tap facility.

14 MR. GALE: And Chairman, this is
15 John Gale. I think we're ready to receive
16 public comment on this matter at this time.
17 And if you could just direct the public that
18 want to make such a comment to raise their
19 hand, use the raise the hand feature in
20 Microsoft Team so that you can recognize them.
21 Also, you may need to open up the caret
22 associated with attendees to see the hands

1 being raised to make public comment on this
2 issue.

3 CHAIRMAN DANNER: All right. Thank
4 you, John. And yes, there are several hands
5 already raised. Let's start with Christopher
6 Osman. Can you identify yourself, please?

7 MR. OSMAN: Yes. Good morning,
8 everyone. Am I coming through okay?

9 CHAIRMAN DANNER: Yes, you are.

10 MR. OSMAN: Great. Thank you,
11 Chairman Danner. My name is CJ Osman. I'm
12 with INGAA, the Interstate Natural Gas
13 Association of American. Thanks to PHMSA for
14 putting this together in these challenging
15 times, and thanks for the opportunity to
16 comment.

17 Just wanted to say briefly that we
18 appreciate PHMSA's proposal to remove the
19 proposed 192.740(c)(4), that point that was
20 just made about defining where the service line
21 and the farm tap starts and stops. We do
22 believe that given those two other ongoing

1 proceedings where this service line starting
2 point issue is being discussed, the pending
3 second part of the gas transmission rule that
4 was mentioned, and also the FAQs that were
5 mentioned. Trying to address that issue in a
6 third place here adds confusion rather than
7 clarity.

8 And we also would just like to note
9 that we definitely supported the GPAC's
10 recommendation to help resolve this issue about
11 two and a half years ago in the March 2018 GPAC
12 meeting on that gas transmission rule where the
13 advisory committee recommended that PHMSA allow
14 operators the ability to voluntarily designate
15 certain lines as transmission and also make
16 some changes to the distribution center
17 definition to help resolve this farm tap
18 concern and other concerns moving forward. So
19 appreciate that recommendation that was just up
20 on the screen, and we support it. Thanks for
21 the opportunity to comment.

22 CHAIRMAN DANNER: All right. Thank

1 you. Matthew Hite?

2 MR. HITE: Yes, can you hear me?

3 CHAIRMAN DANNER: Yes, we can.

4 MR. HITE: Thank you, Chairman
5 Danner, and good morning. My name is Matt
6 Hite, M-A-T-T H-I-T-E for the record. I'm vice
7 president of government affairs for GPA
8 Midstream Association on behalf of the nearly
9 70 member companies that comprise GPA Midstream
10 membership. I would like to provide the GPAC
11 with the following comments on PHMSA's proposed
12 requirements for farm taps.

13 As indicated in our previously
14 submitted written comments, GPA Midstream does
15 not agree that farm tap piping should be
16 treated as part of a distribution service line
17 starting at the first isolation point
18 downstream from the source piping. There's no
19 support for using that approach in the tax
20 structure or history of the gas pipeline safety
21 regulations. And apply the gas distribution
22 service line regulations to piping downstream

1 of the first isolation point would impose
2 substantial costs on the Midstream industry
3 without creating justifiable safety benefits,
4 particularly for operators of non-
5 jurisdictional production and gas gathering
6 pipelines.

7 Accordingly, GPA Midstream supports
8 PHMSA's decision to withdraw that proposal from
9 the changes on their consideration in this
10 rulemaking proceeding. With that said, GPA
11 Midstream still believes it is necessary for
12 PHMSA to acknowledge in the final rule that
13 operators have the discretion to determine the
14 appropriate classification of piping in farm
15 tap configurations. A wide variety of farm tap
16 configurations exist throughout the country,
17 and operators have traditionally used a
18 functional approach in determining whether
19 piping should be classified as production,
20 gathering, transmission, or distribution in
21 particular scenarios.

22 In some cases, the classification of

1 piping may change in a valve, regulator, meter,
2 or other component or at the point where
3 custody of the gas transfers to the customer or
4 another pipeline operator. In other cases, a
5 production, gathering, or transmission line may
6 deliver gas directly to a customer without
7 passing through a distribution line. To
8 provide the certainty required for the GPAC to
9 make a favorable recommendation today, PHMSA
10 must acknowledge that these principles will
11 continue to guide operators in determining the
12 classification of regulatory status of farm tap
13 piping. And with that, thank you for letting
14 me make a comment.

15 CHAIRMAN DANNER: All right. Thank
16 you. All right. We have somebody who is
17 signed up. You've identified yourself only as
18 SI. Are you there and could you identify
19 yourself, please?

20 MS. GINSBERG: Yes, this is Susan
21 Ginsberg speaking on behalf of the Independent
22 Petroleum Association. It was just a premature

1 send when I was trying to identify myself when
2 logging in. IPAA appreciates the proposed
3 changes that PHMSA has put forward, and we very
4 much look forward to more clarity and hopefully
5 appropriate regulatory relief when the FAQs
6 come out.

7 IPAA members have strongly urged
8 PHMSA to recognize that these farm taps are not
9 distribution lines and that the suppliers,
10 particularly in rural areas, that they are not
11 distribution companies. We think that's
12 important so that the regulation is tailored
13 appropriately. So going forward with the --
14 given the rather narrow scope of the changes
15 that can be accommodated in this rulemaking, we
16 hope that the FAQs can provide clarity on
17 definitions and also acknowledge the numerous
18 scenarios that exist for farm taps.

19 It's also important given the
20 various rulemakings that are going on right
21 now, both the gathering safety rule and the
22 FAQs, it's just -- it makes it difficult for

1 affected parties to understand what are
2 unregulated lines. And so just more clarity
3 that PHMSA can provide would be greatly
4 appreciated. Thank you.

5 CHAIRMAN DANNER: All right. Thank
6 you. And that appears to be all of the hands
7 that are raised. I don't see any others. So I
8 think at this point, let's begin the
9 discussion. Let me turn to my colleagues on
10 the committee and ask if there are any comments
11 that you would like to make to start the
12 discussion.

13 (No audible response.)

14 CHAIRMAN DANNER: All right. I'm
15 seeing no -- oh, there we go. Mark Brownstein,
16 good morning.

17 MR. BROWNSTEIN: Yes, good morning.
18 Thank you to the staff of PHMSA for holding
19 this meeting under less than ideal
20 circumstances. It's very much appreciated. So
21 Mark Brownstein, Environmental Defense Fund.

22 I guess one question I have is

1 several of the commenters and I believe PHMSA
2 itself is reserving certain definitional issues
3 for the farm tap FAQs. And I guess I would
4 just like a little better understanding as to
5 what the farm tap FAQs are, what they will
6 contain, and what force and effect they have in
7 terms of regulatory authority and/or
8 enforcement.

9 CHAIRMAN DANNER: All right. Does
10 anyone from PHMSA want to respond?

11 MR. GALE: Yes, thank you, Chairman
12 Danner. This is John Gale. Chris McLaren,
13 would you mind giving a quick review of that of
14 what's in the FAQs. But just to be clear in
15 terms of force and effect, they're based --
16 they're going to and they can only interpret or
17 give answers to frequently asked questions
18 based on the current statute.

19 We cannot change any requirements,
20 right? It's based on what's currently in part
21 192. It's based on the current scope of part
22 192 and the definitions of things like service

1 line, distribution, and transmission line. And
2 I think that's why some of the commenters noted
3 that there's a connection between what is being
4 brought up here in terms of when the
5 regulations apply to service lines in context
6 of what was discussed in the gas transmission
7 rule because there's discussions in there of
8 how you could -- the change in the definition
9 of the gas transmission rule and how would it
10 then play out to these farm taps.

11 But these FAQs have to be based on
12 the current regulations and how they apply to
13 farm taps. They can't institute new policies.
14 So with that said, I'd like Mr. McLaren, if you
15 can give a quick overview of what's in those
16 FAQs, it'd be appreciated.

17 MR. MCLAREN: Thank you, John. Yes,
18 as mentioned previously, there are multiple
19 regulatory movements affecting farm taps and
20 trying to keep the topic available and in
21 communication to improve clarity. The first is
22 the RIN2 (phonetic) gas transmission rule which

1 will affect some of that.

2 Following the issuance of this final
3 rule for gas regulatory reform affecting farm
4 taps, things will move to issue farm tap FAQs
5 which are frequently asked questions which
6 would then be worked through our farm tap FAQ
7 team led by Sayler Palabrica, including members
8 of PHMSA and NAPSRS to discuss certain questions
9 that have arisen and have been submitted by the
10 public. First off, we would discuss how the
11 exercise of regulatory discretion which allows
12 operators to utilize either 192.740 or DIMP in
13 handling the threats to their farm taps.
14 That'll be finalized hopefully within this
15 final rule.

16 We then move towards looking at
17 applicability and providing some proposed flow
18 charts for how operators could move through the
19 discussion of the applicability of this
20 proposed regulation and other, further farm
21 taps. Discuss reporting O&M requirements,
22 then, of course, get into the discussion of the

1 source of supply from regulated and unregulated
2 sources and sometimes the effect of local or
3 state statutes requiring service to communities
4 and to individuals in very rural areas. That
5 sort of provides an overview of the topic areas
6 that we'll be covering.

7 There are a couple others that are
8 more discrete but within O&M requirements and
9 how to apply these requirements. Totally just
10 trying to add clarity to the discussion. And
11 by issuing it in the Federal Register notice,
12 there would be the ability to accept public
13 comments to that to further refine and even
14 develop additional FAQs. Thank you.

15 (Simultaneous speaking.)

16 MR. PALABRICA: And just to add to
17 that -- sorry.

18 CHAIRMAN DANNER: Yeah, that's all
19 right. Go ahead.

20 MR. PALABRICA: This Saylor
21 Palabrica with the Office of Pipeline Safety
22 Standards and Rulemaking Division. Just to add

1 to that, I believe that what the public
2 commenters were referring to in particular is
3 Proposed FAQs 3 and 4, and that addresses the
4 basic question which we didn't intend to
5 address in this rule which is on a farm tap
6 facility, where does the service line --
7 subject to all the distribution requirements in
8 part 192, where does that start and where does
9 that stop. And so the question of where does
10 the service line on a farm tap begin and the
11 source pipeline ends is something that we
12 attempted to address through the FAQs, and
13 we'll be considering the public comments on
14 that.

15 CHAIRMAN DANNER: All right. Thank
16 you. Mr. Brownstein, did you have any follow-
17 up questions?

18 MR. BROWNSTEIN: None at this time.
19 Thank you, Mr. Chairman.

20 MR. PALABRICA: Back to you,
21 Chairman.

22 CHAIRMAN DANNER: All right. Thank

1 you. Jon Airey?

2 MR. AIREY: The one thing I want to
3 suggest is I think there's a real lack of
4 clarity so far in customer-owned or consumer-
5 owned facilities, and I hope that is --

6 PARTICIPANT: Chairman Danner, are
7 we ready for the next question?

8 MR. AIREY: -- clarified.

9 CHAIRMAN DANNER: Hang on just a
10 second. Who was talking to me?

11 MR. AIREY: Jon Airey. I was making
12 my comment that I thought --

13 CHAIRMAN DANNER: Yeah, I heard
14 somebody in the background, Jon. I'm sorry to
15 interrupt you. Go ahead.

16 MR. AIREY: What I was suggesting is
17 in the FAQs, I think the area that has led to
18 some confusion on farm taps is when the
19 consumer owns the facilities -- and I think
20 that needs to definitely need to be clarified
21 in the FAQs. When the either producer or
22 operator of the gathering line has no ownership

1 interest or operation interest in the farm tap,
2 I think that needs to be addressed.

3 CHAIRMAN DANNER: All right. Thank
4 you. Diane Burman?

5 MS. BURMAN: Thank you. Can you
6 hear me?

7 CHAIRMAN DANNER: Yes, we can.
8 Thank you.

9 MS. BURMAN: Okay, great. So I'm
10 sorry. I just got back on, so you may have
11 covered this. But I think it's on Slide 21
12 which is the farm tap's proposal, the NPRM
13 proposed the following. Could you just pull
14 that up for a minute, because I just want to
15 make sure I'm understanding this right. Okay,
16 yes. So this is.

17 So I'm looking at the service line
18 directly connected to a regulated gathering
19 line or a transmission line that's included and
20 is exempt from the regulation. And then also
21 service lines directly connected to
22 nonregulated gathering or production source

1 pipelines are exempt. So I guess I'm pausing
2 and just want clarification from PHMSA because
3 I'm not sure I fully -- I have a discomfort
4 with both of these exemptions.

5 I can say farm taps not needing to
6 be in a DIMP plan but exempting them from
7 192.740 if they are in a DIMP plan, I think I'm
8 just a little concerned because these farm tap
9 requirements, in my mind, maybe shouldn't be
10 exempted if coming off a nonregulated or
11 production source unless the farm tap is going
12 to a building that is on the operator's
13 property. These are essentially services and
14 perhaps should be treated as such.

15 And I'm just picturing a farm tap
16 going to a school, which we do have in New
17 York, and this exemption allows that farm tap,
18 which is a service, to go to that school and be
19 unodorized and not have any regulatory
20 requirements if the law finds it comes off as
21 nonregulated gathering. So I'm just wondering
22 if you can clarify a little bit and if you see

1 my example as something that is a problem. I'm
2 just trying to understand it a little more.

3 Thank you.

4 MR. GALE: Mr. Chairman, John Gale
5 here. I'd like to try to take a shot at that.

6 CHAIRMAN DANNER: Thank you.

7 MR. GALE: Thank you, Ms. Burman.
8 So just real quick. So this is a little bit
9 related to the topic we were discussing before
10 as to are these service lines are not in the
11 first place. Taking that off the table.

12 If they are a service line -- I'm
13 not trying to get in argument. But let's just
14 say per our regulations, per the current scope
15 of part 192 and the definitions and our
16 authority, they are a service line just given
17 that fact. If they are, all this rule does
18 would they would be exempt from DIMP which I
19 believe they were already exempt from DIMP and
20 192.740.

21 However, if they are a service line,
22 they would still be subject to all of those

1 requirements in part 192 as a service line,
2 including things like odorization. So all it's
3 exempting them from is annual reporting which
4 was consistent with some of the other small
5 infrastructure areas that we've done in the
6 past and the requirement to do the regulator
7 check. But if they are truly a service line
8 and they meet the definition of a service line
9 per our code, they would have to comply with
10 all other applicable requirements in 192 as a
11 service line. I hope that answers your
12 question.

13 MS. BURMAN: Excellent. It totally
14 does, and thank you for explaining it. I
15 appreciate it. Thanks.

16 CHAIRMAN DANNER: So John, could you
17 repeat that again just to clarify? What
18 precisely are they exempted from?

19 MR. GALE: The requirement is
20 currently in 192.740. And maybe Chris McLaren
21 could help me read this real fast, which is to
22 do a pressure regulator check of the service

1 line. It says, each pressure regulating or
2 limiting device, relief device, automatic
3 shutoff device, and associated equipment must
4 be inspected and tested at least once every
5 three calendar years, not exceeding 39 months,
6 to determine if it is: in good mechanical
7 conditions; adequate from the standpoint of
8 capacity and reliability of operation for the
9 service in which it is employed; and set to
10 control or relieve at the correct pressure
11 consistent with the pressure limits in 192.197;
12 and to limit the pressure at the inlet of the
13 service regulator, the 60 psi. So that's the
14 only requirement. So they were currently
15 exempted from DIMP, and we would just simply
16 exempt them also from 740.

17 CHAIRMAN DANNER: All right. Thank
18 you. So, just for my own edification, can you
19 tell me -- this NPRM would cover, you say,
20 about 150,000 farm taps. How many farm taps
21 are there out there that would not be covered
22 by this rule? Do we know?

1 MR. GALE: I'm not sure if we know
2 the number of service lines. So we got data
3 from both AGA -- this was something that was on
4 AGA's radar for a little bit in terms of the
5 numbers that are connected to distribution
6 operators. And we've received data from IPAA
7 for the unregulated sourcing.

8 I'd ask Sayler or if any of our
9 commenters on the phone or on the line if they
10 know of those connected to regulated
11 transmission and/or regulated gathering. I'm
12 not sure how many are associated with that
13 number. I don't know if we looked there
14 because we weren't really -- we didn't think
15 there would be an impact there.

16 MR. PALABRICA: We do not have an
17 estimate of the number of service lines that
18 would be unaffected by the rule change, that
19 is, those connected to the regulated source
20 pipelines. However, our assumption is that
21 they would continue to comply with the
22 regulated checks in 740 rather than implemented

1 in a program. And they would be submitting
2 those on their gas distribution annual report.

3 But there isn't really a way to
4 identify service lines on -- or sorry, not --
5 you can identify lines. There isn't a way to
6 identify farm taps, per se, easily on the gas
7 distribution annual report form. So we do not
8 have that estimate unless -- yeah. Sorry.
9 This is Sayler Palabrica with Standards and
10 Rulemaking.

11 CHAIRMAN DANNER: All right. Well,
12 that's fine. I was just curious about what the
13 universe looked like out there. And then there
14 was IPAA basically in the comments page. They
15 said that many farm taps are -- basically
16 shouldn't be subject to regulations that
17 interfere with the parties established
18 contractual relations. Is the fact that
19 there's a contract between a producer and a
20 landowner, is that a reason for PHMSA
21 regulations not to apply?

22 MR. GALE: Chairman Danner, this is

1 John Gale again. I'll see if there's anybody
2 from our chief counsel's office that wants to
3 chime in. But in general, I would say no.
4 However, if you look at things like customer-
5 owned piping, right? And if it's customer-
6 owned piping, we have a history of saying in
7 many cases that type of piping is not subject
8 to our part 192 requirements.

9 The question is, is when does it go
10 from unregulated source line to it's now a
11 regulated distribution line to customer piping.
12 And this is an issue that we've been working on
13 for several years now and it's a difficult one.
14 We've put a lot of resources to it, and we're
15 going to continue to put a lot of resources to
16 it.

17 But the key on this proposal is, is
18 that we're simply trying to provide flexibility
19 to operators that are current subject to the
20 rules to either use 740 or use DIMP, right,
21 because we believe that they provide that
22 equivalent level of safety that we're looking

1 for. And to deal with the issues related to
2 the scope and the applicability of part 192 to
3 these farm taps is -- basically has to be
4 addressed in a different venue and a different
5 basically vehicle. We're going to move forward
6 the FAQs.

7 And what we talked about earlier
8 with Mr. Brownstein regarding the scope, we can
9 only interpret them again in terms of what the
10 current regulations say. If we believe that
11 the current regulations get us to a point that
12 we think needs further review, then we have to
13 initiate a rulemaking to do that additional
14 action we think is appropriate, if it's a scope
15 issue or the like.

16 But that being said, again, this
17 proposal is simply to try to provide
18 flexibility to those operators that are subject
19 to these current requirements, not to try to
20 settle and solve any and all problems related
21 to farm taps which is a very big challenges.
22 And we're up to it and we're going to do it.

1 We're going to try our best at it. But it's
2 not really the venue today to look at.

3 CHAIRMAN DANNER: All right. Thank
4 you for that. Committee members, are there any
5 other issues you wish to discuss? I see no
6 hands raised. Okay. Mark Brownstein?

7 MR. BROWNSTEIN: Yes. So this is
8 more by way of comment than question. I very
9 much appreciate the last intervention on the
10 part of PHMSA on this. And I would only say
11 that these definitional and jurisdictional
12 issues I think are ultimately critical. As
13 this advisory committee has talked about many
14 times in the past, the nature of the gas
15 transmission and distribution system has
16 changed, I would say significantly over the
17 last several decades.

18 And once upon a time were thought to
19 be minor conveyances and minor uses have now
20 morphed into something quite substantial with
21 significant potential impacts to public safety
22 and the environment. And so I think these

1 definitional issues are incredibly important to
2 address, although I appreciate that what we're
3 doing here today is not to get into that. But
4 I would just underscore the importance of doing
5 so because as it stands right now, I have a lot
6 of questions and frankly anxiety about the tap
7 of the farm taps and what this may mean for
8 public safety and the environment.

9 CHAIRMAN DANNER: All right. Thank
10 you for that. Are there any other comments or
11 questions from committee members?

12 (No audible response.)

13 CHAIRMAN DANNER: All right. Seeing
14 none, I guess, John, I think we're probably at
15 this point ready to bring this to a vote. Is
16 that the will of the committee?

17 (No audible response.)

18 CHAIRMAN DANNER: It seems so. So
19 let me ask if there is anyone willing to make a
20 motion. Robert Hill?

21 MR. HILL: Robert Hill. I make a
22 motion.

1 CHAIRMAN DANNER: Go ahead, sir.

2 MR. HILL: The proposed rule as
3 published in the Federal Register and -- this
4 is Robert Hill. The proposed rule as published
5 in the Federal Register and the draft
6 regulatory evaluation with regard to farm taps
7 are technically feasible, reasonable, cost
8 effective, and practicable -- excuse me -- if
9 the following changes are made: remove
10 paragraph 192.740(c)(4).

11 CHAIRMAN DANNER: Thank you. Is
12 there a second?

13 MR. WORSINGER: This is Rich
14 Worsinger. I'll second that.

15 CHAIRMAN DANNER: All right. Thank
16 you. So Cameron, can we take a vote?

17 MR. SATTERTHWAITTE: Yes, sir. This
18 is Cameron Satterthwaite, PHMSA, and I will do
19 the roll call. And if you agree with the
20 language, you can say yes. If you don't, you
21 can just simply say no and we will keep it
22 going. We'll start off with Diane Burman.

1 MS. BURMAN: Yes.

2 MR. SATTERTHWAITE: Peter Chace?

3 MR. CHACE: Yes.

4 MR. SATTERTHWAITE: David Danner?

5 CHAIRMAN DANNER: Yes.

6 MR. SATTERTHWAITE: Sara Longan?

7 DR. LONGAN: Yes.

8 MR. SATTERTHWAITE: Terry Turpin?

9 MR. TURPIN: Yes.

10 MR. SATTERTHWAITE: Ron Bradley?

11 MR. BRADLEY: Yes.

12 MR. SATTERTHWAITE: Andy Drake?

13 MR. DRAKE: Yes.

14 MR. SATTERTHWAITE: Mary Palkovich?

15 MS. PALKOVICH: Yes.

16 MR. SATTERTHWAITE: Rich Worsinger?

17 MR. WORSINGER: Yes.

18 MR. SATTERTHWAITE: I have Chad. I

19 don't think he joined us. I'll move on to Jon

20 Airey.

21 MR. AIREY: Yes.

22 MR. SATTERTHWAITE: Don't have

1 Michael Balboni. I'll move on to Mark
2 Brownstein.

3 MR. BROWNSTEIN: Yes.

4 MR. SATTERTHWAITE: Sara Gosman?

5 MS. GOSMAN: Yes.

6 MR. SATTERTHWAITE: And of course,
7 Robert Hill?

8 MR. HILL: Yes.

9 MR. SATTERTHWAITE: All right. It
10 is unanimous. Thank you.

11 CHAIRMAN DANNER: All right. Thank
12 you. Let's now move on to pressure vessel
13 tests. So Mr. Gale, back to you.

14 MR. GALE: Thank you, Chairman.
15 This is John Gale again. And Steve Nanney is
16 going to lead our discussion here on pressure
17 vessel testing requirements. Mr. Nanney, it's
18 back to you, sir.

19 MR. NANNEY: Yes. Thank you, John.
20 This is Steve Nanney with PHMSA, and I'll be
21 going through pressure vessels. Going to the
22 next slide is the background. As noted in the

1 first bullet, pressure vessels are commonly
2 used in metering stations, compressor stations,
3 and other facilities and normally to remove
4 liquids and other materials that are in the gas
5 stream that can hurt the equipment as it goes
6 downstream, whether that's control valves or
7 whether it's getting into homes and hurting the
8 burner tip.

9 192.505(b), again, it requires
10 testing the compressor station, regulator
11 station, and measuring stations to Class 3
12 requirements which would be a test factor of
13 1.5 times the MAOP of the facility. Going to
14 the next bullet, 192.153(b) requires pressure
15 vessels to be designed, constructed, and tested
16 in accordance with Section VIII of the ASME
17 Boiler and Pressure Vessel Code. Next slide.
18 The 1998 and prior editions of the boiler and
19 pressure vessel Section VIII Division 1
20 required pressure vessels to be subjected to a
21 test pressure of at least 1.5 times the maximum
22 allowable working pressure of the vessel.

1 And then in 2001 and in later
2 editions of the ASME Boiler and Pressure Vessel
3 Code, it was revised to a 1.3 times the maximum
4 allowable working pressure of the vessel. And
5 PHMSA incorporated by reference the 2001
6 edition of the ASME Boiler and Pressure Vessel
7 Code. It was effective July 14th, 2004. The
8 PHMSA did not make corresponding changes to the
9 test factor that's in 192.505(b) for testing
10 these type of facilities. Next slide, please.

11 A little more on the background.
12 Some of the commenters that we got for this
13 proposed rule claimed that the structure of
14 part 192 and conflict between the Boiler and
15 Pressure Vessel Code and part 192 test
16 requirements has led to confusion. Some
17 operators have been testing vessels to 1.3
18 times the MAOP as specified in the Boiler and
19 Pressure Vessel Code since July 14th, 2004,
20 which was the effective date incorporated by
21 reference was the 2001 edition of the Boiler
22 and Pressure Vessel Code. And industry groups

1 have argued that 192.505(b) does not apply to
2 pressure vessels and other non-tubing
3 components within compressor stations. Next
4 slide, please.

5 Some more background is re-testing
6 or replacing large numbers of otherwise safe
7 vessels to comply with 505(b) could result in
8 operational disruptions, worker safety hazards,
9 and significant costs. And to just give you an
10 idea on worker safety hazards, these vessels
11 are normally in stations where there's other
12 piping around. They could be in buildings that
13 would be very hard to actually lift and get
14 them out. And then when you do that, the
15 operational disruptions would be having to
16 blind off or isolate the piping to be able to
17 take these vessels out.

18 Some of the commenters argued that
19 PHMSA should not accept a manufacture pressure
20 test of an ASME vessel rather than requiring a
21 post-installation, subpart J test. And the
22 ASME Boiler and Pressure Vessel Code is

1 accepted by many federal agencies. It's
2 adopted by OSHA, by the Bureau of Safety and
3 Environmental Enforcement, by the Department of
4 Energy, and the Department of Defense. Also,
5 the Chemical Safety Board has noted that it is
6 an internationally recognized standard in good
7 practice. Dave Danner, you have your hand up.

8 CHAIRMAN DANNER: Yeah, thank you,
9 Steve. Just I wanted some clarification. We
10 were talking about the operational disruptions
11 and worker safety standards -- hazards of re-
12 testing or replacing. Are those the same for
13 both re-testing and replacing, or are they
14 different? I mean, do you still have to take
15 the vessel out to test it? Are there different
16 considerations for re-testing and replacement?

17 MR. NANNEY: Well, the answer is it
18 depends. It depends upon the location of it
19 and what's around it. Normally, a pressure
20 vessel will have other piping that goes to it
21 and it's flanged to it.

22 So to be able to pressure test it in

1 place, you would either have to move the
2 pressure vessel some amount of a space or you
3 would have to move the piping that's flanged to
4 it. And that becomes problematic because
5 normally this piping is going to be welded to
6 other piping. So just to say that, well, it's
7 all flange piping, it would be easy to
8 disconnect, would not, in most cases, be a true
9 statement.

10 So you would probably -- whether if
11 you were pressure testing it or replacing it in
12 place, you would probably have to move it in
13 most cases to be able to test it and then lift
14 it back in place. Or you would be
15 disassembling a lot of different piping that
16 you would have to put back in place. Does that
17 answer your question?

18 CHAIRMAN DANNER: Yes, it does.
19 Thank you for the clarification.

20 MR. NANNEY: Uh-huh. Slide 39,
21 please. Again, what has PHMSA done as far as
22 looking at the ASME Boiler and Pressure Vessel

1 Code. Well, within 2017, PHMSA commissioned a
2 report by the Oak Ridge National Laboratory to
3 evaluate the standard. And the Oak Ridge
4 report determined that safety was equivalent
5 between the 1992 and the 2015 editions.

6 The 1992 edition includes a 1.5 test
7 factor while the 2015 edition includes the
8 revised 1.3 test factor. Excuse me. Also, the
9 Oak Ridge findings include an independent
10 determination that a 1.3 test factor provided,
11 again, equivalent level of safety compared to
12 the 1.5. And the report evaluated pressure
13 testing requirements in addition to the below
14 requirements.

15 And they list it here, materials,
16 design including failure modes, strength
17 theories, and the principles of limit design
18 theory; fabrication and inspecting including
19 nondestructive examinations; overpressure
20 protection. They also looked at, that's not
21 listed, NDE methods that they used. They
22 looked at the inspection that the companies use

1 also. Next slide, please.

2 Again, the Oak Ridge report, it made
3 the following conclusions with regard to the
4 test factor requirements. A hydrostatic
5 pressure test limits in the 2015 edition
6 provide equivalent safety to hydrostatic
7 pressure testing in the 1992 edition. Pressure
8 tests in the ASME Boiler and Pressure Vessel
9 Code are primarily intended to verify the leak
10 tight integrity of the pressure vessel and are
11 not intended to serve as a burst test of the
12 vessel.

13 And also, there's overpressure
14 protection requirements in both the 1992 and
15 the 2015 editions of Section VIII of the Boiler
16 and Pressure Vessel Code and in 192.201 which
17 allows you to set overpressure protection to a
18 maximum of 1.1 times MAOP. And then, in fact,
19 on most of your gas transmission lines, it
20 would even be less than that based upon other
21 sections of the code. So it ensures that a
22 vessel will never experience an in-service

1 overpressure greater than the 1.3 times MAOP
2 while it's in service. And PHMSA also notes
3 that these requirements have not changed
4 between the 2001 edition and the current 2015
5 edition evaluated by Oak Ridge. Next slide,
6 please.

7 Again, the proposed rule, what does
8 PHMSA propose to allow? Well, PHMSA proposes
9 to allow operators to continue to operate
10 vessels installed after 2004 but before the
11 effective date of the final rule that were
12 tested to 1.3 times the MAOP in addition to the
13 Boiler and Pressure Vessel requirements. These
14 vessels would no longer need to be retested.

15 Also, for vessels installed after
16 the effective date of the rule, PHMSA proposes
17 in the rule to allow 1.3 test factor in
18 addition to the Boiler and Pressure Vessel
19 requirements to clarify that subpart J test
20 duration requirements apply. And for newly
21 manufactured vessels, allow an operator to use
22 a strength test performed by the manufacturer

1 if the operator inspects and remedies any
2 damage to the vessel in accordance with the
3 Boiler and Pressure Vessel Code after it is
4 transported to the installation location. Next
5 slide, please.

6 Okay. Comments that PHMSA received.
7 The Pipeline Safety Trust, their comment was
8 that they believe that PHMSA is prevented from
9 making changes proposed to 192.153(e) for any
10 pressure vessel that is installed in a pipeline
11 facility prior to the effective date of the
12 rule. And PHMSA's response here is in several
13 bullets. One, PHMSA does not view the non-
14 application clause as applicable here. The
15 rulemaking will not force an operator to take
16 an action to re-design or construct an existing
17 facility. Is somebody asking a question? I
18 hear someone.

19 MR. PALABRICA: That was my bad. I
20 was unmuted.

21 MR. NANNEY: Okay. This section is
22 also a response to a petition for

1 reconsideration of the miscellaneous rule.
2 PHMSA must be able to address challenges to
3 design standards in rulemaking actions. And
4 then the third bullet is requiring operators to
5 remove pressure vessels that otherwise comply
6 with Part 192 in the Boiler and Pressure Vessel
7 Code and have been operating safely would
8 exposed operator employees to unnecessary
9 safety hazards associated with moving and
10 pressure testing large pressure vessels to
11 disrupt pipeline operations and incur
12 significant costs.

13 And then, lastly, the changes
14 intended to resolve the issue by minimizing
15 safety, operational and economic consequences
16 and is consistent with recognizing engineering
17 standards.

18 In other words, PHMSA's response is,
19 is vessels that were installed between 2014 and
20 when this rule should go into effect would
21 remain in service. We would not expect them to
22 be taken out of service and re-pressure-tested

1 or changed out in any form or fashion. We
2 would, going forward, expect the operators to
3 abide by the 1.3 test factor and the time
4 limits that are in the code.

5 Slide 43, please. Also, another
6 comment we got from the Pipeline Safety Trust,
7 they requested additional technical support to
8 justify the applying a 2015 addition to any
9 vessel designed and fabricated under a prior
10 edition of the standard. The Oak Ridge study
11 does not disclose all changes between the 2001
12 and 2015 editions, and therefore do not fully
13 support PHMSA's stance that an equivalent level
14 of safety is provided.

15 And, again, in the Oak Ridge report,
16 it separately determined that the hydrostatic
17 pressure testing limits in the 2015 edition
18 provide equivalent safety to the hydrostatic
19 pressure testing limits in the 1992 edition.

20 Next slide, please. Next slide,
21 please. Thank you. And PHMSA's response
22 continued here is: the report further

1 determines that the overpressure protection
2 requirements ensure that a vessel will not be
3 operated at a pressure exceeding 1.3 times the
4 MAWP in service. The required overpressure
5 protection limits in 192.201 and the Boiler and
6 Pressure Vessel Code, including intermediate
7 editions that have been incorporated by
8 reference into the pipeline safety code in the
9 past, have not changed since the 2001 edition
10 was adopted.

11 Also, the Boiler and Pressure Vessel
12 Code does not specify minimum test durations.
13 Clarifying test duration requirements that
14 apply to new and replaced pressure vessels in
15 the future could result in an increased level
16 of safety depending on the rate of baseline
17 compliance.

18 And then, lastly, the Boiler and
19 Pressure Vessel Code is an internationally-
20 recognized good practice adopted by several
21 other Federal agencies.

22 Next slide, please. Next slide.

1 Yes. Some other comments we received, the
2 associations and National Fuel Gas requested
3 that PHMSA remove the requirement to test
4 pressure vessels "in place." They commented
5 that some configurations make testing
6 impractical or unsafe due to facility activity
7 or installation location.

8 And PHMSA's response here is that we
9 acknowledge that while testing vessels after
10 tie-in complicates the testing and inspection
11 process, these same challenges create risks of
12 damaging the pressure vessel during movement
13 and installation within a pipeline facility.
14 PHMSA will clarify that testing or inspection
15 is expected to take place after the vessel has
16 been put on its supports at its intended
17 installation location, but may occur prior to
18 tie-in with station piping.

19 Next slide, please. Next slide,
20 please. Some other comments that we received
21 is the associations supported aligning
22 regulations with the boiler and pressure vessel

1 test requirements, especially in the option to
2 visually inspect rather than re-testing.

3 The associations also request that
4 visual inspection or retesting apply to all
5 pressure vessel relocations after the effective
6 date, rather than just "newly manufactured"
7 vessels.

8 And PHMSA's response here is, the
9 inspection is typically a visual inspection,
10 however the operator's procedure or a qualified
11 inspector may require other inspection methods
12 based upon damage. PHMSA did not propose to
13 allow the use of a manufacturer's test for
14 relocation of existing vessels.

15 Slide 47, please. Slide 47, please.
16 Again, PHMSA's response is, a technical article
17 published by the National Board of Boiler and
18 Pressure Vessel Inspectors acknowledges
19 jurisdictional requirements for relocations may
20 apply and notes that safety considerations for
21 relocations and other changes require careful
22 consideration and analysis.

1 PHMSA will consider adding
2 regulatory language clarifying the following
3 requirements for relocating existing vessels.

4 Number one, the operator must have
5 documentation that the relocated vessel meets
6 current design and construction requirements
7 and the vessel must be re-tested by the
8 operator in accordance with existing
9 192.503(a).

10 Also, the operator must inspect the
11 vessel after installation but prior to tie-in
12 to ensure that there are no injurious defects
13 such as corrosion or cracking.

14 And just one thing, what we're
15 talking about here are vessels that are
16 permanently installed. If it's a vessel such
17 as, you've got a vent stack and you're doing a
18 bore down and it's a vessel that's move around
19 just for venting blown downs to take liquids
20 out of the gas stream during that path
21 operation, we would expect it to be reviewed
22 and make sure that it's safe. But we would not

1 expect it to be pressure tested for each
2 venting operation.

3 Slide 48, please. Also, this
4 concludes the PHMSA response to comments on
5 pressure vessel test requirements.

6 And, again, in light of comments
7 received from the NPRM, PHMSA recommends that
8 the Committee consider adopting the proposal
9 with the following changes.

10 Number one, clarifying that testing
11 or inspection is expected to take place after a
12 vessel is placed on its supports at its
13 installation location, but may occur prior to
14 tie-in with station piping.

15 We'll also clarifying that relocated
16 vessels must meet current design and
17 construction requirements, be retested by the
18 operator and be inspected after installation,
19 but prior to tie-in, to ensure there are no
20 injurious defects.

21 Slide 49, please. Again, I will
22 turn it back over to the Chairman to take

1 public comments. Chairman Danner.

2 CHAIRMAN DANNER: Thank you, Steve.
3 All right, we have one hand up. Patrick Carey.

4 MR. CAREY: Good morning. As
5 Chairman Danner indicated, my name is Patrick
6 Carey. I'm with Kinder Morgan. Can you hear
7 me?

8 CHAIRMAN DANNER: Yes, thank you.

9 MR. CAREY: Okay. And my comments
10 are specifically regarding the testing of re-
11 located vessels. I appreciate Steve's comments
12 relative to the testing of blowdown silencers
13 or whatever else.

14 But I think that this point needs
15 some clarity because there are a lot of
16 implications on the integrity and maintenance
17 practices. Specifically on the use of portable
18 equipment.

19 And to narrow the example down, the
20 concern really comes over the impact of our,
21 our efforts to reduce methane emissions. If
22 you look at it, currently, one of the

1 significant methods that we use to reduce
2 methane emissions, in certain cases, is the use
3 of portable facilities to pump down a valve
4 section.

5 These portable facilities include
6 trailer and skid-mounted vessels. And this is
7 separators as well as the bottles that hang
8 underneath the compressor units.

9 And the testing of these facilities
10 would require the equipment to essentially be
11 disassembled in order to be able to test that.
12 The removal of water after the fact would be
13 difficult, if not impossible. Not only to get
14 the free water out but all of the moisture that
15 would be associated with that.

16 In addition, I think the reassembly
17 would cause problems with the leaks. You know,
18 the tightening the flanges back up to the state
19 they were in prior to disassembly.

20 This raises a lot of safety issues
21 associated with the work. In addition to time
22 and cost.

1 And this is going to have an adverse
2 effect on the considerations that we use in
3 order to use this type of equipment and our
4 efforts to reduce methane emissions. Thank
5 you.

6 CHAIRMAN DANNER: All right, thank
7 you. Steven Glass.

8 MR. GLASS: Ah, yes. My name is
9 Steve Glass, general manager of engineering
10 services for National Gas. I'd like to thank
11 the GPAC and PHMSA for the opportunity to
12 speak. Am I coming through clear?

13 CHAIRMAN DANNER: You are, sir,
14 thank you.

15 MR. GLASS: Okay, thank you.
16 National Fuel operates more than 17,000 miles
17 of natural gas, transmission distribution and
18 gathering pipelines in Western New York and
19 Pennsylvania.

20 I'd like to comment on PHMSA's
21 recommendation of requiring the retesting of
22 relocated pressure vessels, as well as the

1 recommendation of the pressure testing being
2 performed in place.

3 As a small to medium sized pipeline,
4 we operate hundreds of pressure vessels in our
5 pipeline system. Under the proposed comments,
6 an operator cannot justify the integrity of the
7 vessel based on its visual conditions nor based
8 on its operational history.

9 A go, no go pressure test will tell
10 us if the vessel is leak tight. But why impose
11 the additional stress of the hydrotest on a
12 vessel that's visually sound and has a clean
13 operational history.

14 The incremental level of safety
15 added by a onsite pressure test very well may
16 be negated by several safety and quality
17 concerns with performing the pressure test.

18 Noteworthy is that an ASME stamped
19 vessel has been designed, manufactured, tested
20 and inspected to an internationally accepted
21 set of industry standards for decades and has
22 proven to be a reliable means of producing

1 vessels for safe operational service.

2 As an operator that utilizes
3 portable pressure vessels, such as temporary
4 odorant tanks and ASME knockout vessels, as
5 well as re-purposing existing vessels to other
6 facilities to meet operational demands, it's
7 concerning the current recommendation requires
8 that a relocated vessel would require an
9 additional pressure test regardless of its as
10 inspected condition.

11 Operationally, the use of portable
12 pressure vessels is a key method of necessary
13 tasks, such as temporary odorization and
14 methane emissions reduction through flares and
15 portable compressor units. These rented and/or
16 leased equipment, including compressor
17 packages, are routinely moved for both methane
18 emissions, reduction and critical energy
19 delivery services.

20 There is a whole industry of
21 portable equipment. Some of which that I have
22 yet to mention, includes portable silencers and

1 mist extractors for services such as used
2 during ILIs and drying of pipelines.

3 The impact of well-established and
4 safe operations of such equipment will
5 introduce unnecessary delay. In addition, the
6 reused of existing vessels is one way to help
7 reduce capital costs on facility upgrades.

8 An additional concern with onsite
9 testing is related to causing un-intention or
10 unintended damage to the vessel and/or adjacent
11 equipment.

12 The addition of the weight of
13 hydrotest water calls into question if the
14 vessel is properly supported during the test
15 via its intended in place foundation supports.
16 And also, if the vessel manufacturer designed
17 the vessels integral supports to withstand the
18 weight.

19 To avoid this concern of exceeding
20 the foundation and/or integral or internal
21 vessel component loads during a hydrotest, an
22 operator may consider using an inert gas for

1 the testing medium. But this would introduce a
2 significant safety concern due to the
3 conservable energy stored in the compressible
4 gas. In this situation, preferring an in place
5 pressure test just may not be a feasible
6 option.

7 And as Steve Nanney addressed just a
8 little bit during the review here, but another
9 example of the need to relocate a vessel would
10 be for access to foundations or adjacent
11 equipment repairs, upgrades and maintenance
12 activities should an existing vessel, such as a
13 pulsation bottle, need to be removed for repair
14 of an adjacent compressor foundation. The
15 operator would then need to perform an in-place
16 pressure test on a vessel that is already
17 operating safely and reliably.

18 For these reasons described, we'd
19 recommend that PHMSA reconsider its position
20 such that the relocation of a vessel is treated
21 no differently than a new vessel and therefore
22 its acceptance is based on a successful visual

1 inspection, not based on whether it will
2 withstand another pressure test. Thank you.

3 CHAIRMAN DANNER: Thank you, sir.
4 Mark Hereth.

5 MR. HERETH: Good morning. Or good
6 afternoon.

7 Chairman Danner and Members of the
8 Committee, thank you for the opportunity to
9 speak today. My name is Mark Hereth, I'm the
10 managing director of the Blacksmith Group.

11 I have worked for HSB, the largest
12 ensuring of machinery and equipment in the
13 world for 23 years of the first part of my
14 career and have a deep history in the ASME
15 Code, including the Boiler and Pressure Vessel
16 Code.

17 I've spent the last 20 years of my
18 experience in the pipeline industry. In
19 preparing my comments today, I spoke with
20 contractors who construct facilities,
21 manufacture vessels associated with pipelines
22 as well as LNG plants, petroleum refining

1 facilities and petrochemical plants.

2 This also included Dr. Gene Feigel,
3 who recently retired from HSB who I worked with
4 for many years. Many of you will recall Dr.
5 Feigel served on this committee for many years.
6 He also served as the president of ASME.

7 I support PHMSA's proposed use of
8 the 1.3 test factor. Their interpretation and
9 the description that was provided by Mr. Nanney
10 this morning of the Oak Ridge National Labs
11 study done for PHMSA on this topic is
12 technically sound.

13 I support the inspection of pressure
14 vessels at their installed location. However,
15 the risks of pressuring testing a vessel that's
16 already been tested in ASME shop under
17 extensive controls that's then placed on its
18 supported at its installation location outweigh
19 any perceived benefits.

20 No one I spoke to was aware of
21 pressure vessels resulting in failures
22 resulting from transportation and handling in a

1 facility. And that's not just in pipelines but
2 also other process industries, including
3 refining petrochemicals that operate systems at
4 higher pressures than those we operate in the
5 pipeline industry.

6 As mentioned by other public
7 speakers here, water and contaminants in
8 vessels are not only difficult to remove but
9 can damage downstream compression equipment and
10 associated pressure released systems.

11 With respect to relocated vessels, I
12 also support inspection when installed in a new
13 location. I do not support re-pressure testing
14 relocated vessels with same risks as with a new
15 vessel or applicable in this instance as well,
16 that includes the threats of water and
17 contaminates.

18 As a past chairman of the INGAA
19 Foundation, which represents 220 members
20 including operators, contractors and service
21 providers, I would be happy to convene a small
22 group of experts to share their expertise and

1 knowledge of PHMSA if that would be helpful at
2 some point in the future. Thank you for the
3 opportunity to comment.

4 CHAIRMAN DANNER: No, thank you for
5 your comments. Michael Elling.

6 MR. ELLING: Hello, my name is
7 Michael Elling and I work for a small company
8 called Reserve Equipment, Inc., which provides
9 portable natural gas compression and has done
10 so for about 50 years.

11 A majority of our work is pumping
12 down sections of pipeline for transmission
13 companies when they need to perform repairs or
14 maintenance.

15 Just to quickly describe how we do
16 that. We have essentially what are compressor
17 packages mounted on trailers and we connect to
18 the pipelines using flange connections at valve
19 sites or at compressor stations. And we
20 compress the gas out of an isolated section of
21 pipe across the closed valve or into an
22 adjacent line.

1 And we do hundreds of projects every
2 year saving billions of cubic feet of natural
3 gas from being blown to atmosphere or flared
4 off.

5 With our equipment, the proposed
6 pressure vessel tester would potentially have
7 negative effect on us. Our concern is with how
8 the terms relocation and installation are
9 defined. Or even how they're interpreted when
10 determining if vessels need to be retested.

11 If the relocation of our mobile
12 equipment from one valve site to another were
13 to require that we pressure test our scrubbers
14 each time, that would be completely impractical
15 and cost prohibitive.

16 Our average project requires only
17 about 48 hours of runtime, so the extra time,
18 labor and equipment needed to perform pressure
19 tests would be significant within the scope of
20 our work. And it would cost us hundreds of
21 days of productive compression every year and
22 prevent us from being able to capture as much

1 gas.

2 And it would also cost a lot more
3 for us to perform our services making it less
4 attractive to our customers, the pipeline
5 companies, to save the gas rather than to vent
6 or flare it. We already have safety measures
7 in place to protect from the dangers of
8 unintended release of gas. And our equipment
9 is always manned when in operation.

10 We simply request that the terms
11 relocation and installation be more narrowly
12 defined so as to exclude mobile equipment like
13 ours that is designed to be moved for brief
14 temporary projects.

15 And not to mention all the prior
16 discussion of the complications arising when
17 you pressure test vessels over and over. Thank
18 you very much.

19 CHAIRMAN DANNER: All right, thank
20 you, sir. David Murk.

21 MR. MURK: Hey, good afternoon. Can
22 you hear me okay, Chairman Danner?

1 CHAIRMAN DANNER: Yes, we can.
2 Thank you.

3 MR. MURK: Okay, thank you. Hi, I'm
4 David Murk, I'm the pipeline manager for the
5 American Petroleum Institute.

6 And I just kind of wanted to
7 reemphasize, we did submit comments and it's
8 really reemphasizing some of the points we
9 raised. I think Mark Hereth, who just spoke,
10 really did a nice job summarizing some of the
11 concerns that we have with testing in place and
12 tie-in.

13 But first let me say, API supports
14 PHMSA's proposal to align Part 192 with the
15 test requirements with ASME boiler and pressure
16 code. Specifically modifying 192.153 to allow
17 vessels installed after July 14, 2004 to
18 operate at 1.3 MAOP.

19 And as Steve Nanney pointed out a
20 little earlier, Oak Ridge National Lab found
21 that the pressure vessels that are designed,
22 fabricated and tested in accordance with the

1 provision specified in the 2015 edition of ASME
2 BPVC and subjected to the hydrostatic test
3 pressure equal to 1.3 MAOP, does present an
4 equivalent level of safety to pressure vessels
5 that are designed and fabricated in accordance
6 with 190 1992 edition of the standard and
7 subjected to a hydrostatic pressure equal to
8 1.5 MAOP.

9 In addition to the alignment, which
10 we support, PHMSA should also remove the
11 requirement to inspect vessels after
12 installation. And also remove the requirement
13 that an operator choose to pressure test the
14 vessel onsite. The testing must be with the
15 testing being in place.

16 And as indicated, as I mentioned
17 earlier, Mark Hereth I thought presented the
18 point well. The tests in place and post tie-in
19 for us raise concerns, and our members
20 concerns, and really pose a potential
21 unintended consequence and damage to associated
22 facilities when you're testing vessels with

1 piping at a level, or of a facility that is at
2 a level higher than the design test pressure of
3 the vessel. That's my comments. Thank you.

4 CHAIRMAN DANNER: All right, thank
5 you very much. I don't see any other hands up
6 so why don't we turn to the Committee Members
7 for any comments or questions they have on this
8 proposed rule. Sara Gosman.

9 MS. GOSMAN: Yes. This is Sara
10 Gosman. All right, so, I'd just like to talk a
11 little bit about the application of this to
12 vessels between 2004 and the effective date.

13 Changing the standard from 1.5 times
14 MAOP to 1.3 times is a violation of the
15 Pipeline Safety Act. And I actually don't
16 think this is a close question.

17 Under Section 60104(b), PHMSA simply
18 doesn't have the authority to apply design and
19 initial testing standards to existing vessels
20 that are already installed or otherwise
21 induced, as it proposes to do in 192.153(e)(1)
22 and (e)(2)(I).

1 This is not a case of scrivener's
2 error or an unclear statute. In 2011, PHMSA
3 specifically recognized the difference between
4 the ASME standard of 1.3 times the MAOP and 1.5
5 times the MAOP in a notice of proposed
6 rulemaking and stated that if the vessel is not
7 tested to 1.5 times MAOP it cannot be used in a
8 compressor or meter station or other class free
9 location.

10 In 2015 PHMSA adopted the change in
11 what is now Section 192.153(e). And again
12 specifically stated that unless a vessel is
13 especially ordered with a test pressure of 1.5
14 times MAOP, as prescribed by the purchaser, the
15 vessel will be tested in accordance with the
16 standard test factor of 1.3 if the vessel is
17 not tested to 1.5 times the MAOP, it cannot be
18 used in a compressor or metered station or
19 other Class 3 or Class 4 locations.

20 The failure to meet this requirement
21 can potentially be to exceeding the design
22 parameters of the vessel during subsequent

1 testing of the pipeline system. I simply can't
2 imagine a more specific addressing of the issue
3 that we are dealing with today.

4 I want to make a few points about
5 PHMSA's response to our comments. Section
6 60104(b) is not conditioned on whether the
7 standard requires an operator to take an action
8 to redesign or construct an existing facility.

9 And the petition for reconsideration
10 was submitted in response to the 2015
11 rulemaking. That's five years ago.

12 PHMSA did not address it then and
13 the Agency can't change a standard now when it
14 said nine years ago that the standard was 1.5
15 times MAOP and not 1.3 times the MAOP. This is
16 the very definition of arbitrary and
17 capricious.

18 I have some concerns about the
19 safety arguments being made here. But even if
20 we accept them, making pipelines safer has
21 never been the bases for adopting changes to
22 existing facilities when the proposed

1 requirements are more stringent.

2 So it shouldn't be, for one, to make
3 the requirements less stringent as we are
4 considering here.

5 Overall, as many of you know, the
6 Pipeline Safety Trust has real concerns about
7 this particular provision in the Pipeline
8 Safety Act that applies to existing facilities.
9 But given that it is in the Pipeline Safety
10 Act, given that it's been applied in the past
11 do not, to PHMSA's actions in a way that, means
12 that existing facilities do not have more
13 stringent standards, I don't think it can be
14 applied here in a de-regulatory action. Thank
15 you.

16 CHAIRMAN DANNER: Thank you very
17 much. Andy Drake.

18 MR. DRAKE: Yes, this is Andy Drake
19 with Enbridge. I appreciate Sara's comments.
20 And I actually pretty much agree with her.

21 I thought maybe it would be helpful
22 just to kind of comb some of the history of

1 ASME, this developmental a bit. My background
2 with ASME included.

3 I've been an ASME member for 30
4 years. I was the Chairman of ASME's Gas
5 Pipeline Standards Committee at the time of
6 these transactions happening.

7 And I just wanted to maybe go back
8 and talk about some of the things, just to sort
9 of set this flight plan and overview to help
10 people kind of keep it in context.

11 In '01 ASME changed this
12 requirement. They did not change the design
13 standards for the vessels. What they really
14 did was went back and looked at, in aggregate,
15 all of the controls and barriers that are now
16 in affect with modern manufacturing technics.

17 Including other entity processes
18 that are in place, controls around the steels,
19 and better inspection technologies that we
20 could use to help, and better welding technics
21 as well, to help mitigate some of the risks in
22 the -- or facts that that you might realize in

1 the fabrication.

2 They were never really looking at
3 the pressure test, even at 1.5, as a strength
4 path. They were looking at that test as a
5 fitness for service test. They had a leak test
6 with a 25 to 30 percent margin above the
7 maximum operating pressure.

8 So, I think going back to Oak
9 Ridge's study it's not a degradation of
10 service, it's actually just an evaluation on a
11 broader scale of the fabrication process and
12 controls and barriers in place throughout the
13 entire process. And how that test fits in.

14 So, I do want to try help anchor
15 some things. In fact, why that change was
16 made.

17 I do think where the confusion comes
18 in is that in '04 PHMSA adopted, or
19 incorporated, ASME that changed from a one into
20 the regulations by reference. And it created
21 some confusion between 153(b) and 505(b).

22 I think the thing that's interesting

1 of note is that ASME is a, as many folks have
2 noted, is a recognized international good
3 standard. And it's recognized for the design
4 material selection manufacturing processes,
5 inspection and testing in aggregate to certify
6 and stamp that vessels.

7 They make those vessels for a lot of
8 different industries. Not just the gas
9 pipeline industry.

10 And so, when they certify a pressure
11 vessel they're certifying it to comply with
12 that composite aggregate standard. And when a
13 customer orders one, they are basically
14 ordering a stamp vessel to that standard. And
15 I think that's really important here.

16 So, there was confusion. But when
17 you look at, the intent of ASME is to provide a
18 vessel that complies with ASME. That is, what
19 the primary purpose, primary focus of those
20 manufacturer is at that time, and even the
21 operator, to make sure that stamped vessel
22 complied with ASME.

1 I think we kind of went along for
2 several years, and I think '15 PHMSA came out
3 with a rule interpretation that was intended to
4 clarify that conflict. And I think in doing
5 such issued basically a rule that said 505(b)
6 would be applicable.

7 And made it retroactive back because
8 it was trying to interpret the regulation from
9 '04. And in doing so, now you created a
10 compliance conundrum for a lot of people. They
11 bought things with the intent of complying with
12 ASME, which was clearly required in the
13 regulations, and adopted by PHMSA regulation.

14 Now they've got kind of a
15 retroactive liability. And I applaud PHMSA for
16 trying to sort this out.

17 I shake Sara's point, they're
18 correct, I mean, she's correct in that you
19 can't pass a line standard backward. But I
20 think that's, in essence, what happened in '15.
21 Is when they made that integral interpretation,
22 it did not understand how people had applied

1 and bought those vessels trying to comply with
2 federal regulations in ASME code application
3 stamps.

4 But I think that's really an
5 important recognition of how, we got to figure
6 out how to unwind this conundrum because you
7 got a lot of vessels that were purchased and
8 installed in that period and they got to figure
9 out, are they a threat, no, they are not a
10 threat.

11 So how do we install this 2015
12 rulemaking interpretation, I think is really
13 what the real essence of this conflict may be.

14 I do think that there is a question
15 I have about testing in place. I don't, I
16 think that actually would end up being another
17 new requirement.

18 These vessels don't test in place
19 well. And it's not something that's been
20 practiced, it's not really something that's
21 practical in many cases.

22 Actually, trying to get water out of

1 some of these vessels on the site would be its
2 own challenge. And that's why the testing is
3 done in a controlled environment with the
4 certified shop.

5 And I think the inspection that has
6 to be done on site is not a hydrostatic test,
7 it is a visual inspection of the vessel to see
8 if it was damaged during transport. I think
9 that goes back to Mark Hereth's comments.

10 Lastly, I think it's important, this
11 thought about relocation of temporary
12 equipment, or relocation of certified vessels.
13 I really want to make sure I clarify a comment
14 I think that Steve made on slide 51 about
15 testing or inspection.

16 I think that testing or inspection
17 is appropriate, but I think testing, alone, is
18 not practical. These temporary equipment, I
19 think Pat Carey mentioned, and several others
20 too, as we're relocating a lot of this
21 equipment, it's designed for temporary
22 installation.

1 It's designed to be portable and
2 moved with a blowdown trailer or piping to
3 connect the blowdown trailers, filter
4 separators, pulsation bottles, all those kind
5 of things that help us pull gas down out of the
6 system. We don't keep that equipment in any
7 one place, we move it around to where that
8 event is happening.

9 To try to assembly that and then
10 test it onsite, prior to every one of those
11 interim temporary uses, would be absolutely
12 impracticable. And I think the key here is we
13 probably want to do something where it is
14 tested and we can see that it was tested at its
15 manufacturer. And that we do visual
16 inspections of that equipment to make sure it
17 hasn't been damaged in transport.

18 And I'd even support if we wanted to
19 say that the equipment should be periodically
20 retested or reinspected. But I think to say
21 that that period is every time it's relocated
22 is not practical. And I can't support that.

1 Thank you.

2 CHAIRMAN DANNER: All right, thank
3 you, Andy. Mark Brownstein.

4 MR. BROWNSTEIN: Yes. Well, I
5 wanted to pick up on the, maybe the last point
6 that Andy addressed himself too because it was
7 a little unclear, in my mind, reading through
8 the material what was intended by the
9 conditions for relocation of equipment.

10 Clearly we've heard from a number of
11 commenters today about temporary location of
12 equipment that's designed to be moved around
13 for the purpose of addressing themselves to
14 blowdowns and the like. As distinct from
15 equipment that may be moved from one, what I'll
16 call permanent installation in a facility to
17 perhaps another permanent installation in the
18 facility.

19 And I'm just wondering if PHMSA is
20 drawing a distinction between the two. Should
21 PHMSA be drawing a distinction between the
22 two?

1 Perhaps I just don't fully
2 understand what is being proposed here so maybe
3 I could ask for some clarification.

4 CHAIRMAN DANNER: All right, thank
5 you. Let me go back to Steve Nanney.

6 You've heard comments setting aside
7 the authority under the Act, just the other
8 comments you've heard about the fact that these
9 were mobile in nature, visual testing, et
10 cetera. What are your comments?

11 MR. NANNEY: Can you hear me,
12 Chairman Danner?

13 CHAIRMAN DANNER: Yes, I can, thank
14 you.

15 MR. NANNEY: Okay. Well, first of
16 all, if you, going back to the rule, if you
17 have a newly manufactured pressure vessel and
18 it is relocated to a pipeline facility after
19 the initial pressure test by the manufacturer,
20 when it gets onsite and you move it, the
21 operator must do one of the following.

22 They either must pressure test the

1 vessel in place after it has been transported
2 in accordance with the requirements of this
3 section or they must inspect the pressure
4 vessel and confirm that the component was not
5 damaged during transportation and installation
6 into the pipeline. And then inspection records
7 for the component must be kept for the
8 operational life of the pressure vessel.

9 And if the pressure vessel has been
10 damaged, it must be remediated, or retested, in
11 accordance with ASME Boiler and Pressure Vessel
12 Code requirements that are referenced in
13 paragraphs (a) and (b) of the 192.153 section.

14 So, we don't require, I heard some
15 folks mistake that we're requiring pressure
16 testing in place, that is not the case. The
17 case is, if you've done it in the manufacturer
18 and you move it there and you do an inspection
19 to make sure it hasn't been damaged in lifting
20 and transportation, all of those type things,
21 and you document that, you do not have to
22 pressure test it in place again.

1 The other comment would be on
2 vessels that would be temporary, like blowdown
3 vessels, if there is some temporary odorant
4 tanks, if there is launchers and receivers that
5 are used temporarily that have, all of these
6 have isolation valves to the main line, from
7 them, that are used in these temporary areas
8 that, like Andy and Pat Carey and others have
9 identified, that are moved around and have been
10 designed for that, PHMSA's intent was never for
11 them to be re-pressure tested each time.

12 The thing that we can either put in
13 the section or in the preamble, is making sure
14 everybody realizes, oh, that's not the intent.
15 But the intent would be, which any prudent
16 operator should have in their procedures, that
17 they would have to do a safety inspection of
18 the equipment before they put pressure on it
19 and put it in service and document that each
20 time.

21 Which is very similar to the
22 inspection of a pressure vessel that's moved

1 from a manufacturer out to a facility. Does
2 that answer your questions, Chairman Danner?

3 CHAIRMAN DANNER: Well, let me turn
4 to Andy Drake and see if it answers his
5 questions. Andy, and then Alan.

6 MR. DRAKE: This is Andy Drake with
7 Enbridge. Thank you, Steve, for those
8 clarifications.

9 That absolutely clarified both
10 questions I had. I would ask that we get the
11 slides that we're voting on to reflect that
12 because it's not really clear.

13 And like I said, in Slide 51 I just
14 wanted to make sure which way we were
15 interpreting that. But I appreciate those
16 clarifications on both those issues, that was
17 very much help.

18 CHAIRMAN DANNER: All right, Alan?

19 MR. MAYBERRY: Okay, thanks,
20 Chairman Danner. I just want to chime in that,
21 okay, so, we'll come to that with the voting
22 slides, but I think we need to get back to

1 Sara's questions.

2 I was going to ask if, I believe
3 it's Ben Fred from the Office of the General
4 Counsel can jump on to give an explanation
5 related to the statutory issue that Sara
6 brought up. So, if we can call on Ben Fred I
7 believe.

8 MR. FRED: Yes. Can you hear me
9 okay, Al?

10 CHAIRMAN DANNER: Yes.

11 MR. MAYBERRY: Yes, we can.

12 MR. FRED: Great. Great. Yes, just
13 in response to Sara's comments. We definitely
14 appreciate the comment.

15 And when we saw the written comment
16 we looked into this. We will certainly
17 consider your comments here today further. And
18 we'll respond in the final rule.

19 But I think the slide that Steve
20 read earlier captures our view on this pretty
21 well. We don't think that the non-application
22 clause applies here.

1 The purpose of that clause is to
2 prevent PHMSA from requiring operators to dig
3 up existing pipeline that was installed
4 according to the code at the time. But now
5 we're coming in adopting revised or heightened
6 designed standards.

7 You know, we can't make operators go
8 dig up the pipeline to comply with those new
9 design standards. That's not really what's
10 going on here.

11 But I think more importantly, this
12 particular rulemaking responds to a petition
13 for reconsideration of the miscellaneous rule.
14 You may know that that rulemaking is subject to
15 ongoing litigation.

16 And so, the current proposed rule
17 would address that challenge through modifying
18 the existing code. But happy to further
19 consider your comments today, and your written
20 comments, when we prepare the final rule.

21 CHAIRMAN DANNER: All right, Sara,
22 do you want to respond to that?

1 MS. GOSMAN: Yes. And thank you so
2 much for considering my comments here, and of
3 course the Trust comments.

4 I mean, you know, on the purpose
5 side, I just want to read the text of Section
6 60104(b) here because I think it's really, very
7 clear. And problematic because it's clear, but
8 still clear.

9 A design installation construction
10 initial inspection or initial testing standard
11 does not apply to a pipeline facility existing
12 when the standard is adopted. It doesn't say
13 anything about digging up the pipeline or
14 heightened standards.

15 And while I'm sure there could be a
16 purpose argument here, I don't think that it
17 would fly in the face of the plain meaning of
18 the text of the statute.

19 And I think what's concerning me, in
20 addition to that, is that, again, in 2000, at
21 least in 2011, PHMSA said that 1.5 times MAOP
22 was what it was all along, right? That there

1 was already an existing requirement, Section
2 192.505(b). And that all it was doing was
3 saying, just because we adopted this ASME
4 standard that says 1.3, we didn't change that
5 1.5 times MAOP.

6 So, at least since 2011 Industry was
7 on noticed that this was the standard, as
8 understood by PHMSA. And of course in 2015 the
9 Agency adopted that particular rule and put it
10 in the regulations.

11 So I don't think, back to Andy's
12 comments, I appreciate those comments as
13 always, but I don't think PHMSA was applying a
14 new standard at the time, it was saying that
15 this was the standard all along and it was
16 simply clarifying it.

17 And so, again, I mean, at least
18 since 2011 I think everybody should have been
19 on notice here that 1.5 times MAOP was the
20 correct standard. And to the extent that it
21 now creates problems for the Industry, I think
22 that's hard for me to understand given that

1 that was the clear message from PHMSA. Thank
2 you.

3 CHAIRMAN DANNER: All right, thank
4 you. Mark Brownstein?

5 MR. BROWNSTEIN: Yes, I want to
6 address myself to the third bullet on the
7 voting slide.

8 It's still a little unclear to me.
9 I mean, I understand the overarching intent
10 here is to not have temporary facilities go
11 through pressure testing onsite but instead
12 have inspection.

13 But I guess I'm a unclear here as to
14 whether this is enunciating something new or if
15 this is essentially enunciating something that
16 currently exists in PHMSA regulation and we're
17 just calling everyone's attention to it.

18 Maybe another way to ask the
19 question is, under current PHMSA regulation how
20 are temporary, you know what are called
21 temporary maintenance, temporary pressure
22 vessels if you will, how are they currently

1 handled under current PHMSA regulations?

2 CHAIRMAN DANNER: Steve Nanney?

3 MR. NANNEY: Yes. If you look at
4 the slide that's up and you look at the third
5 bullet --

6 MR. BROWNSTEIN: Yes.

7 MR. NANNEY: -- is it's basically,
8 the way we have it written there, and the last
9 two lines where it says, but they must be
10 inspected for safety, integrity prior to usage,
11 if it's something that's got, normally these
12 type vessels will have an isolation valve
13 between the main line and where they are that
14 you can actually close in case you have an
15 issue. They normally are not operating at the
16 full maximum MAOP.

17 So if you went out last week, or
18 probably two years ago, the way we have it
19 described there, or even ten years ago, you
20 would see them operating, if you had a prudent
21 operator, the way that's written.

22 MR. BROWNSTEIN: And I understand

1 that that's, a prudent operator would do that.
2 I guess what I'm trying to educate myself to
3 is, is what would PHMSA regulations have
4 required them to do two years ago, and is what
5 we're recommending today a change from what
6 they would have done two years, from what they
7 would have been required to do two years ago?

8 MR. NANNEY: In my opinion, it would
9 be the same.

10 MR. BROWNSTEIN: Okay, thank you.

11 CHAIRMAN DANNER: All right, are
12 there any other Advisory Committee Members who
13 wish to speak on this issue or ask questions?

14 MR. GALE: Chairman Danner, if I
15 may?

16 CHAIRMAN DANNER: Yes, sir, go
17 ahead.

18 MR. GALE: Thank you. John Gale
19 here. Members, what we've done is, based on
20 the conversation we've had today we've added
21 two new bullets as, one was already discussed
22 by Member Brownstein, and the fourth bullet

1 there trying to address, to a degree, obviously
2 the comments raised by Member Gosman.

3 I think another point to point out
4 here, what Sara is raising here is an issue
5 where, do we even have the legal authority to
6 do this. So, obviously if we don't, if it's
7 determined that we don't, then we can't even
8 make the change, right?

9 So I think what we're committing to
10 doing here is thoroughly reviewing the issues
11 that's been raised by the Pipeline Safety Trust
12 and by Member Gosman to make sure that, you
13 know, and make any argument, pro or con, to
14 that.

15 But be that as it may, we would
16 recommend that the Committee further consider
17 the amendment, the proposal as published with
18 these clarifying amendments that we've listed
19 in the first three bullets. So, I just wanted
20 to point out those changes to that voting
21 slide.

22 CHAIRMAN DANNER: All right, thank

1 you. Andy Drake.

2 MR. DRAKE: Sorry, I was trying to
3 get my mute button turned on. This is Andy
4 Drake with Enbridge.

5 I'd like to just ask Steve to take a
6 look at slide 51 of voting slide. The second
7 bullet, I'm kind of confused. I get the third
8 bullet, where you're talking about inspection
9 for relocated, but how does the second bullet
10 fit in, do we need to add words that say
11 something about retested or reinspected? I
12 just wanted to clarify that.

13 And I did want to follow back, when
14 Steve answers, with a second question or
15 comment, if I could, Mr. Chairman Danner?

16 CHAIRMAN DANNER: Yes, go ahead.

17 MR. DRAKE: Do you want to let Steve
18 answer the first one before we go on to the
19 second one?

20 CHAIRMAN DANNER: Yes. Yes, Steve.

21 MR. NANNEY: Okay. The first
22 question is the second bullet, correct?

1 MR. DRAKE: Correct.

2 MR. NANNEY: Okay. And if you, just
3 looking at, clarify that relocated vessels must
4 meet current design and construction
5 requirements, be retested by the operator and
6 be inspected after installation but prior to
7 tie-in, to ensure that there are no injurious
8 defects.

9 I think our, if you read the
10 wording, relocated vessels to another facility,
11 if you look at how we have it. In other words,
12 if you have it at Compressor Station A and you
13 move it 50 miles down the road, the new
14 construction of Compressor Station B, we would
15 expect it in this new facility to meet the
16 current design and construction requirements
17 and to be retested by the operator.

18 MR. DRAKE: So these are --

19 MR. NANNEY: In other words, you
20 could not move a vessel made in 1970 to a new
21 facility without doing something to it. It may
22 be a new vessel, it may be a retested vessel or

1 re-certified vessel. You'd have to look at
2 when it was made and what the code requirements
3 were then versus today.

4 MR. DRAKE: So that requirement is
5 intended to apply to vessels that are being
6 relocated for longer term operations. The
7 third bullet is for temporary, is that --

8 MR. NANNEY: That's --

9 MR. DRAKE: -- that's the
10 differentiation I'm just trying to make sure I
11 got.

12 MR. NANNEY: Yes, that's correct.
13 We've got, on the third, Andy, we got temporary
14 maintenance and repair activities in that
15 second one, third line.

16 MR. DRAKE: Okay, that's perfect. I
17 just wanted to kind of get clarification on how
18 those two fit together. But if it's for
19 permanent, permanent long-term and
20 installations, that makes perfect sense.

21 MR. NANNEY: And that's what it was
22 for. You're reading it correctly.

1 MR. DRAKE: Okay, thank you for that
2 clarification, Steve.

3 If I could, Chairman Danner, a
4 second question, or sort of a follow-up. I
5 think I'm just looking for some clarification a
6 little bit from Sara because I'm not sure what
7 happened in 2011 as far as clarification.

8 But in 2015, what I'm showing, is
9 PHMSA kind of came out with this rulemaking,
10 that was intended to clarify. And I agree that
11 post-'15 there was clarity.

12 I would say this, the conversation
13 in '15, or the conversation prior to '15 was a
14 significant discussion, that might be an
15 understatement, but a disagreement between our
16 505 and, 505(b) and 153(b) fit together. And I
17 think that's what begged the 2015
18 interpretation to come out.

19 But when it came out and went
20 retroactive, I think that's where people really
21 got very anxious is it didn't give any space
22 for people, retroactively, to have a different

1 interpretation. It clarified, but it clarified
2 backwards.

3 So that is a problem. It is a
4 problem that was not negligent, malicious. I
5 think the other piece of it is, is it
6 significant enough to warrant a change.

7 I think going forward, from '15, you
8 know, I think PHMSA was very clear and people
9 should have followed the 1.5. Now we have a
10 separate issue that we're looking at is, 1.3
11 going forward.

12 Which is, I think the ASME standard
13 is very clear that this is not a compromise in
14 safety. I think Oak Ridge Labs agrees with
15 that. And I don't want to break it into three
16 different problems but I think I just want to
17 kind of break it down into its components so
18 that we can have a good conversation about
19 that.

20 I do think that there was quite a
21 recognition in '15 about the different
22 interpretations of the rulemaking from '04.

1 And I think that that is important for
2 everybody to keep in their mind.

3 There was confusion over how these
4 fit together. People were genuinely trying to
5 do the right thing.

6 And I think the conversation that
7 unfolded created some byproducts that we're now
8 having to manage. And I think the key for me
9 is, what is the right thing to do here as far
10 as safety is concerned certainly should be a
11 consideration.

12 And then, what were people's intent
13 to do. They were trying to do the right thing
14 and I think we just need to figure out how to
15 unwind that quite frankly. Thank you,
16 Chairman.

17 CHAIRMAN DANNER: All right, thank
18 you. Sara Gosman.

19 MS. GOSMAN: Thank you. So, when I
20 say 2011, what I'm referring to is the notice
21 of proposed rulemaking which proposed the
22 particular language of 1.5 times MAOP.

1 So that's what I'm going back to in
2 terms of at least notice that PHMSA thought
3 that this was the way to interpret the
4 regulations.

5 And back to your safety point. I
6 think that this particular provision, about
7 existing facilities, is problematic.

8 And I think that it, because it does
9 not address safety, it simply says, you can't
10 apply the standards to existing facilities.
11 We've argued this over and over again. But
12 without a change in the statute I don't think
13 PHMSA has the authority here.

14 I guess the one question I was
15 thinking about after the update from the PHMSA
16 attorney, and thank you again, is this a
17 settlement of existing litigation challenging
18 the 2015 rule?

19 Because if so I didn't see that in
20 the notice of proposed rulemaking here. That
21 is, has PHMSA decided that its original
22 position in 2015 was incorrect?

1 MR. FRED: This is Ben Fred. I'm
2 not sure, I don't think, I'm not aware of a
3 settlement, but PHMSA is, you know proposing
4 this change in response to the challenge.

5 MS. GOSMAN: Okay. So there is no
6 agreement with the challengers to end the
7 judicial challenge because of this rule?

8 MR. FRED: I'm not aware of an
9 official agreement.

10 MS. GOSMAN: Okay.

11 MR. FRED: I'm not.

12 MS. GOSMAN: Okay, thank you. Thank
13 you. And then I think I said enough on this
14 topic, and I certainly appreciate the last
15 bullet point with a full and thorough review.

16 Again, I think the language here is
17 very clear and I think it's not a closed
18 question in terms of applying the act, and so I
19 will voting against this because I think that
20 PHMSA simply does not have the authority.

21 CHAIRMAN DANNER: So, Mr. Fred, you
22 have it seems already come to a legal

1 conclusion on this. If you are going to be
2 doing a thorough review how can we know that
3 you are approaching this with an open mind?

4 MR. FRED: I'm sorry, who was that
5 question towards?

6 CHAIRMAN DANNER: That was for Ben
7 Fred. Basically what I heard earlier is that
8 you have already reached a legal conclusion and
9 the fourth bullet there is that you will review
10 the law. I mean haven't you already made up
11 your mind?

12 MR. FRED: Well, this issue was
13 raised in the written comments that were
14 received on the NPRM so we did look into it and
15 as the slide indicated that Steve read earlier
16 that that was our assessment of that issue.

17 There has been some additional
18 discussion here today that we will certainly
19 have some further consideration on, but
20 ultimately, you know, it will be in the final
21 rule whether we think our position that we
22 communicated today should be different.

1 CHAIRMAN DANNER: All right. Thank
2 you. So, Diane Burman?

3 MS. BURMAN: Thank you. Can you
4 hear me?

5 CHAIRMAN DANNER: Yes. You are
6 breaking up a little bit, Commissioner.

7 MS. BURMAN: Okay, sorry. So I'm
8 just trying to clarify, Sara, you read some
9 really good points, but one of the questions I
10 have is you said you were voting no, or
11 possibly voting no, because PHMSA didn't have
12 the authority.

13 If PHMSA did have the authority
14 would you be in support or is there room for
15 tightening this in a way that is satisfactory?
16 I don't mean to put you on the spot, I'm just
17 trying to clarify your concern. Thank you.

18 CHAIRMAN DANNER: Sara?

19 MS. GOSMAN: Diane, thank you so
20 much, I appreciate that. I always appreciate
21 the ways in which the Committee tries to come
22 to consensus on these issues.

1 I think the question of whether
2 PHMSA has legal authority is itself a legal
3 determination, and as you all know I am a law
4 professor, right, so I am comfortable with my
5 legal analysis.

6 While I appreciate again PHMSA's
7 willingness to go back and look at the
8 arguments I have made, these are arguments I am
9 sure they have considered.

10 We just apparently have a different
11 interpretation of 60104(b) and if this is, you
12 know, PHMSA's interpretation going forward
13 that, for example, you know, they are allowed
14 to adopt requirements for existing facilities
15 if that doesn't mean that they have to dig up
16 the pipeline, well that will be certainly
17 something that I will bring up later in our
18 discussions because that is a change, I
19 believe, in how everyone has interpreted this
20 particular provision.

21 But if that is going to be the
22 Agency's position here then I think it needs to

1 be applied across regulations and when they are
2 considering more stringent requirements.

3 So, again, I absolutely and always
4 appreciate both PHMSA's willingness to consider
5 my comments and the consensus-building nature
6 of this particular Committee, but I just think
7 it's a straightforward legal analysis here and
8 I think the legal analysis for me is, as I
9 said, I don't think it's actually a very close
10 call and, you know, as I say I am a law
11 professor, I can see gray in many things, but
12 not on this one. Thank you.

13 CHAIRMAN DANNER: All right. Thank
14 you. Andy, you had your hand up, did you --

15 MR. DRAKE: Yes, Chairman, I did
16 have my hand up. And maybe this -- I am
17 definitely not a lawyer, but I have lawyers
18 around me, and I got a little bit of counsel
19 here, so to speak, and I think just going
20 backwards I just want to be deliberate about
21 Sara's comment we were put on notice.

22 I think what we put on notice was --

1 I don't know who put who on notice, but the
2 industry put PHMSA on notice we don't agree and
3 that that was a lot of confusion on the playing
4 field and we needed to resolve that, so I
5 understand it.

6 In '11 there was a proposed
7 rulemaking, notice of proposed rulemaking, put
8 out, and it took, as always, several years of
9 discussion and debate and we came out with the
10 rulemaking in '15 that also included the stay
11 of enforcement.

12 Now maybe I am asking PHMSA to
13 validate that, but the stay of enforcement was
14 issued between the '04 incorporation by
15 reference and the '15 rulemaking about the
16 applicability of 153.4505.

17 So there was no enforcement
18 intention going backwards to try because I
19 think everybody recognized it was that
20 confusing. Okay, so now we have agreed we are
21 not going to do that, but that's just the stay
22 of enforcement.

1 I think, you know, what we are
2 looking for here is how do we create permanence
3 to that, you know. I think that's -- I don't
4 have the answer, again, I am not a legal
5 counsel, but I think that is a relevant issue
6 here for us to address.

7 I think the testing to 1.3 is
8 appropriate as determined by an international
9 agency that is recognized with the expertise in
10 how to test and manufacture these kind of
11 vessels.

12 So I don't think the safety issue is
13 at question, it's really just how do we clean
14 this up.

15 CHAIRMAN DANNER: So when you say
16 you are talking to your lawyers did you, do
17 they have the same concerns as Sara?

18 MR. DRAKE: I can't speak for my
19 lawyers, but I think there is just a general
20 need for us to clean this up.

21 It was clearly -- I don't agree that
22 "put on notice," I think that what was put on

1 notice is there is a lot of confusion out here.
2 Both parties agreed there is a lot of confusion
3 here and we needed to debate it and discuss it
4 and in the end a stay of enforcement came out
5 with a clarification of how to go forward.

6 You know, that's fine. I just want
7 to figure out how do we get that codified.

8 CHAIRMAN DANNER: Right. I mean it
9 seems to me we have a threshold determination
10 to make about whether PHMSA has authority to do
11 this, so, you know, we need to think about
12 that.

13 All right. Alan Mayberry?

14 MR. MAYBERRY: Yes. I was just
15 going to say, you know, I really appreciate the
16 input and the discussion here and, Sara, I
17 always appreciate the value you add to this
18 Committee.

19 You know, that last bullet that,
20 yes, we will look at it, you know, certainly I
21 appreciate my attorneys here and they provide
22 good advice.

1 I can assure you that this, you
2 know, what we end up with goes through multiple
3 legal reviews and, you know, if we are going
4 beyond our authority there are a number of
5 checks in the system that will make sure that
6 it corrects us.

7 We feel confident we are on firm
8 ground right now, but, you know, again, it does
9 goes through -- Even without this provision
10 here, the last bullet, it will go through a
11 review, but we'll make sure to flag it to make
12 sure that we just, you know, concentrate on the
13 explanation, whichever way that ends up being.

14 You know, if we can forward,
15 obviously we think we can, you know, we'll
16 explain it more clearly. If something, you
17 know, comes up where we can't we'll address
18 that appropriately as well.

19 But, you know, we'll go through
20 multiple reviews to be very thorough, but
21 thanks for flagging this.

22 CHAIRMAN DANNER: All right. Sara?

1 MS. GOSMAN: Oh, I'm sorry. My hand
2 was still up. Just a thanks again for that,
3 Alan, and I think my position stands here and,
4 again, I want to call everybody's attention to
5 the language of the statute because I think
6 it's really important to be very precise about
7 the language that we are applying here.

8 It simply says a design installation
9 construction, initial inspection, or initial
10 testing standard does not apply to a pipeline
11 facility existing when the standard is adopted.

12 I don't think that it could be any
13 clearer than that and whatever the confusion
14 was before the language in 2015 was in the
15 rule, we're changing that standard, we're
16 changing it retroactively.

17 I don't believe PHMSA has the
18 authority to do it.

19 CHAIRMAN DANNER: All right. Thank
20 you. Are there any other comments from
21 Committee members?

22 (No audible response.)

1 CHAIRMAN DANNER: All right. I want
2 to speak for myself here. I share Sara's
3 concerns about PHMSA's authority on this rule
4 saying that I actually like the changes, so I
5 would support this but I would like that fourth
6 bullet to reflect that I also have this, so
7 that in addition to Sara's name that my name be
8 added to that fourth bullet and with that I
9 would support the recommendation.

10 All right. Are there any other
11 comments?

12 (No audible response.)

13 CHAIRMAN DANNER: All right. With
14 these changes is there someone who is willing
15 to make a motion? Andy Drake?

16 MR. DRAKE: This is Andy Drake with
17 Enbridge and I will make that motion that the
18 proposed rule as published in the Federal
19 Register and the draft regulatory evaluation
20 with regard to testing requirements for
21 pressure vessels are technically feasible --

22 (Simultaneous speaking.)

1 CHAIRMAN DANNER: Andy? Andy, let
2 me -- I'm sorry. I just want to make sure --
3 Diane Burman had her hand up, too, and I don't
4 know if she was offering to make the motion or
5 if she had an additional comment.

6 MS. BURMAN: Yes, I did, I'm sorry.
7 Can I just for the fourth bullet, which I do
8 appreciate Sara Gosman and Commissioner Danner
9 making sure that they capture that they have
10 comments, but I would like it to be if possible
11 more focused on the fact that the comments
12 addressed from PST Members Gosman and Danner
13 relative to this issue that PHMSA has agreed to
14 fully and thoroughly review the proposal with
15 regard to the applicability because I do think
16 it's important to showcase PHMSA's, you know,
17 sort of due diligence in going back and looking
18 at that issue, so just that's one thing.

19 The second is I thought we were also
20 going to make clarifications on finalizing the
21 testing and inspection issue and the language.
22 Is that -- I thought from the conversation back

1 and forth we were going to be making a change
2 to the first bullet.

3 CHAIRMAN DANNER: Okay. With regard
4 to the fourth bullet did you have language
5 changes that you wanted to --

6 (Simultaneous speaking.)

7 MS. BURMAN: Yes. I would just flip
8 it and say with regard to the comments from PST
9 and Members Gosman and Danner relative to this
10 issue PHMSA has agreed to fully and thoroughly
11 review the proposal with regard to the
12 applicability of 49 USC 60104(b) to this
13 proposal and will fully address, so we're just
14 flipping it.

15 CHAIRMAN DANNER: All right. I
16 would have no problem with that.

17 MS. BURMAN: Thanks. And then I'm
18 just --

19 (Simultaneous speaking.)

20 MS. BURMAN: I'm just making sure,
21 on the first bullet, did we -- I thought we had
22 been discussing some changes to clarify.

1 I don't see that it does have
2 testing or inspection, but I am just making
3 sure from the back and forth conversation that
4 we fully addressed any changes that we had
5 talked about in the discussion aspect.

6 And then I do want to just make a
7 comment before we get into the voting.

8 CHAIRMAN DANNER: All right. So,
9 again, any proposed language that you have on
10 that, on that first bullet?

11 MS. BURMAN: I don't. I am just
12 making sure that -- Because there was some
13 discussion I am making sure because I thought
14 we had said when we got to the voting slide for
15 that section we were going to be making,
16 possibly tightening the language.

17 CHAIRMAN DANNER: Okay. Steve or
18 John, do you recall that conversation? Is
19 there some language that you were thinking of
20 to tighten that?

21 MR. NANNEY: Chairman Danner, this
22 is Steve Nanney. I thought when I went through

1 what was in the code I think some of the
2 members, whether it was members or the public,
3 that had made some comments had not fully
4 remembered what was in the code and I thought
5 when I went through that there was agreement
6 that it allowed either you had to pressure test
7 or inspect the pressure vessel to confirm that
8 the component was not damaged.

9 I thought when I went through that
10 that cleared those comments up.

11 MS. BURMAN: I am comfortable if
12 that's the case. I just wanted to make sure
13 that if we were to make changes there that we
14 didn't forget.

15 So unless there is someone who
16 thinks that that didn't address people's
17 concerns, notwithstanding Member Gosman's
18 concern, which I appreciate.

19 Then I just have a third comment
20 before we get into the voting.

21 CHAIRMAN DANNER: Yes, go ahead.

22 MS. BURMAN: So I have been

1 listening very thoughtfully to the comments
2 that were made about the notice, you know, to
3 folks in terms of what PHMSA is doing or not.

4 As a regulator I often struggle
5 myself when we put out something in a notice of
6 what we are thinking, what maybe our staff is
7 thinking, and then we open it up for comments.

8 Many times as a regulator at the
9 State level for a variety of reasons the delay
10 in then responding to those comments happened
11 for a variety of reasons and then we several
12 years later at times we then adopt what we had
13 noticed folks that we were doing at the
14 beginning.

15 I do think it is important for us to
16 keep in mind that just because there was
17 technical notice about what may be in the
18 thought process back in 2011 and was the
19 thinking for PHMSA, especially when parties,
20 whoever they are, in this case many are
21 industry parties, take notice of those comments
22 and put in, you know, their concerns about

1 that.

2 I don't think it's a fair assessment
3 to say, well, you've known since 2011, so, you
4 know, there is no reason for you to be
5 surprised about that.

6 This is the time for us to act and
7 take into consideration whatever those
8 substantive comments are and make decisions
9 especially as it pertains to substantive
10 concerns that are raised, what is the
11 appropriate thing, and it's not fair for us to
12 say, well, you've known since 2011 and,
13 therefore, you know, it's kind of too late,
14 because I don't think it's too late and I don't
15 think it's fair to put it in the category of
16 folks being on notice.

17 So to me I just want to be clear
18 about that because it is something that I,
19 myself, as a regulator often struggle with when
20 there is a reaction to things that we are doing
21 as if, you know, because we said it then you
22 should have known and planned for it.

1 So that's just my two cents. It is
2 something that concerns me and I just want to
3 make sure that folks understood where I was
4 coming from, that I don't think that it's fair
5 to have folks say that they have had that
6 notice and, therefore, you know, it's not --
7 Whatever. So that's just my thoughts. Thank
8 you.

9 CHAIRMAN DANNER: All right. Thank
10 you very much. So, Richard Worsinger?

11 MR. WORSINGER: Thank you. This is
12 Rich Worsinger. I just need to share a comment
13 on some of the discussion that has taken place
14 on the pressure vessel testing issue.

15 I have gone back just to look and
16 just if nothing else to refresh myself on what
17 is the role of GPAC and it says to "review
18 PHMSA's proposed regulatory initiatives to
19 assure the technical feasibility,
20 reasonableness, cost effectiveness, and
21 practicability of each proposal" and "the
22 committees also evaluate the cost benefit

1 analysis and risk assessment information of the
2 proposals."

3 I am just throwing that out there to
4 remind everybody what I think our role is. End
5 of my comment. Thank you.

6 CHAIRMAN DANNER: All right. Thank
7 you. All right, before we go back to Andy does
8 anyone else have a comment on this slide or
9 this matter before we go to a Committee vote?

10 All right. Andy Drake?

11 MR. DRAKE: This is Andy Drake with
12 Enbridge. And to answer Commissioner Burman's
13 question, I think Steve did go back and answer
14 a question that I asked him directly about the
15 voting slide to make sure that the words "or
16 inspection" was in there and it is and I
17 appreciate that, just a clarification that he
18 put into the record because there are several
19 different bullets there and I am just trying to
20 figure out which one and for which purpose and
21 he did accomplish that for my questions and
22 concerns anyway.

1 I appreciate your comments,
2 Commissioner Burman. It is a process and we
3 vet out issues and that is the purpose of this
4 Committee and the purpose of that process and
5 to say that we didn't agree would be an
6 understatement.

7 There was a lot of confusion and a
8 lot of energy that went into clarifying that.
9 I think that's important background and
10 framework to put around this.

11 That said, I do think that the
12 proposed rule I would like to make a motion,
13 Chairman Danner, that the proposed rule as
14 published --

15 CHAIRMAN DANNER: Yes, go ahead.
16 We're ready for you.

17 MR. DRAKE: Okay. That the proposed
18 rule as published in the Federal Register and
19 the draft regulatory evaluation with regard to
20 testing requirements for pressure vessels are
21 technically feasible, reasonable, cost
22 effective, and practical if the following

1 changes are made.

2 One, clarify that testing or
3 inspection is expected to take place after
4 being placed on its supports at its
5 installation location but may occur prior to
6 tie-in with station typing.

7 Two, clarify that relocated vessels
8 must meet current design and construction
9 requirements being tested by the operator and
10 be re-inspected after installation but prior to
11 tie-in to ensure that there were no injurious
12 defects.

13 Three, to clarify that the re-
14 testing requirements applicable to pressure
15 vessels do not apply to those vessels that are
16 used for temporary maintenance and repair
17 activities, such as portable launchers or
18 receivers, temporary order intakes, blowdown
19 equipment, and/or similar equipment, but they
20 must be inspected for safety and integrity
21 prior to usage.

22 And, four, with regard to the

1 comments from the PST and Members Gosman and
2 Danner relative to this issue PHMSA will fully
3 and thoroughly review the proposal with regard
4 to the applicability of 49 USC 60104(b) to this
5 proposal.

6 CHAIRMAN DANNER: Thank you very
7 much for reading that and making the motion.

8 Is there a second? Mary?

9 MS. PALKOVICH: Yes, this is Mary.
10 I will second that motion.

11 CHAIRMAN DANNER: All right. Mary
12 Palkovich seconds the motion. Cameron, can we
13 take a vote?

14 MR. SATTERTHWAITTE: Okay. We'll
15 just go through and if you agree with the
16 language just say yes, if not --

17 CHAIRMAN DANNER: Okay, you're a
18 little bit faint, Cameron.

19 MR. SATTERTHWAITTE: All right.
20 How's that?

21 CHAIRMAN DANNER: That's much
22 better. Thank you.

1 MR. SATTERTHWAITE: Okay. So I am
2 going to go through the roll and if you agree
3 with the language you can just say yes and if
4 not you can just say no. Diane Burman?

5 MS. BURMAN: Yes.

6 MR. SATTERTHWAITE: Peter Chace?

7 MR. CHACE: Yes.

8 MR. SATTERTHWAITE: David Danner?

9 CHAIRMAN DANNER: Yes.

10 MR. SATTERTHWAITE: Sara Longan?

11 DR. LONGAN: Yes.

12 MR. SATTERTHWAITE: Terry Turpin?

13 MR. TURPIN: Yes.

14 MR. SATTERTHWAITE: Ron Bradley?

15 MR. BRADLEY: Yes.

16 MR. SATTERTHWAITE: Andy Drake?

17 MR. DRAKE: Yes.

18 MR. SATTERTHWAITE: Mary Palkovich?

19 MS. PALKOVICH: Yes.

20 MR. SATTERTHWAITE: Rich Worsinger?

21 MR. WORSINGER: Yes.

22 MR. SATTERTHWAITE: And Chad has

1 joined us, so Jon Airey?

2 MR. AIREY: Yes.

3 MR. SATTERTHWAITE: Mark Brownstein?

4 MR. BROWNSTEIN: No.

5 MR. SATTERTHWAITE: Sara Gosman?

6 MS. GOSMAN: No.

7 MR. SATTERTHWAITE: And Robert Hill?

8 MR. HILL: Yes.

9 MR. SATTERTHWAITE: All right.

10 Thank you very much. It is not unanimous, but
11 the motion still carries.

12 CHAIRMAN DANNER: All right, motion
13 carries. Alan Mayberry, it is almost 10:30 on
14 the west coast. I am wondering are we going to
15 be taking what I would call a morning break or
16 do you want us to plow through?

17 MR. MAYBERRY: The mute button was
18 especially difficult. Why don't we plow
19 through.

20 CHAIRMAN DANNER: All right. So
21 let's move on then to Incident Report Criteria.

22 MR. GALE: Thank you, Chairman

1 Danner. For the record this is John Gale
2 again. We are going to get into the issue of
3 Incident Report Criteria.

4 We have really about nine slides to
5 get through and we believe that after this
6 discussion point, Chairman, would be an
7 appropriate place to go ahead and take a lunch
8 break.

9 So we are optimistic we can get
10 through this in the next 30 to 60 minutes and
11 then that would be an appropriate break time.
12 That being said, Mr. Jagger, if you can go
13 ahead and take us to the next slide. Thank
14 you.

15 So a little background on this
16 proposal, an incident is defined in 49 CFR
17 191.3 as an event that meets any of the
18 following criteria, a death or injury
19 necessitating in-patient hospitalization,
20 property damage of \$50,000 or more, including
21 loss to the operator, but excluding the cost of
22 lost gas, an unintentional gas loss of over 3

1 million cubic feet, or an emergency shutdown of
2 a liquefied natural gas facility or underground
3 natural gas storage facility.

4 The property damage criterion,
5 however, has not been adjusted since 1984. As
6 a result the criterion results in less
7 consequential incidents being reported over
8 time due to inflation.

9 This issue was raised in comments on
10 DOT's notice of regulatory reform. Next slide,
11 please.

12 Therefore, PHMSA proposed the
13 following amendments. PHMSA proposed to raise
14 the property damage criterion to \$122,000
15 consistent with CPI's inflation since 1984, and
16 the other criteria remained unchanged.

17 What I would also like to point out
18 is that there was a corresponding proposal made
19 in the hazardous liquid rule, a hazardous
20 liquid regulator reform rule.

21 The number was slightly different
22 because the calculation at the time based on

1 the timing of that publication was slightly
2 different.

3 PHMSA estimates that the proposed
4 rules would reduce the number of reportable
5 incidents by approximately 18 percent.

6 PHMSA also sought comments on the
7 following, procedures for automatic or
8 administrative updates to the criteria in the
9 future similar to those proposed by the Federal
10 Railroad Administration and Appendix B to Part
11 225, and, also, comments on an appropriate
12 method and frequency of future updates. Next
13 slide, please.

14 The comments we received on this
15 proposal the associations and other industry
16 commenters supported adjusting the property
17 damage threshold for inflation based on the
18 effective date of the rule and biennially
19 thereafter.

20 TC Energy recommended a threshold of
21 \$250,000 was more appropriate. TC Energy noted
22 that \$122,000 would still encompass most minor

1 incidents that are captured at \$50,000 based on
2 current costs for labor, repair materials,
3 permits, et cetera.

4 The Freedom Works Foundation
5 supported removing the property damage
6 threshold from the definition of incident.
7 Next slide, please.

8 PHMSA's response. PHMSA continues
9 to support the proposal to update the \$50,000
10 property damage threshold based on inflation.
11 PHMSA will ensure that the value adopted in the
12 final rule is consistent with inflation as of
13 the year of publication.

14 PHMSA agrees that regular updates
15 are appropriate and will consider procedures
16 similar to those proposed by FRA and consistent
17 with the formula adopted in Appendix B to Part
18 255 and FRA would announce regular updates
19 based on the formula on their website.

20 PHMSA does not believe an arbitrary
21 higher damage threshold or eliminating the
22 damage threshold as a criterion are

1 appropriate. Next slide, please.

2 The Pipeline Safety Trust opposed
3 increasing the property damage threshold,
4 particularly when it results in collecting
5 additional data for known issues.

6 The Pipeline Safety Trust opposed
7 frequent, incremental changes to the incident
8 definition commenting that it would affect the
9 ability to compare trends over time.

10 The Pipeline Safety Trust instead
11 recommended a comprehensive review of the
12 definition of an incident if the current
13 definition is not meeting PHMSA's needs.

14 NAPSR suggested that PHMSA first
15 study the effects that changing the reportable
16 criterion dollar amount would have on providing
17 information for State programs, the public, and
18 PHMSA analysis associated with rulemaking
19 actions. Next slide, please.

20 PHMSA's response. Inflation
21 adjustment ensures the consistency of reporting
22 trends. A static property damage criterion

1 changes over time in inflation adjusted terms.

2 PHMSA's own analysis of trends
3 already accounts for inflation. The
4 significant trend analysis filters out
5 incidents that don't meet the other criteria
6 and result in less than \$50,000 in 1984 in
7 regards to damage. A full description can be
8 found at the web address that is shown here on
9 this slide.

10 PHMSA will consider changes to the
11 significant incident definition based on the
12 final rule to ensure consistent long-term
13 trending of the significant incidents.

14 So this concludes PHMSA's response
15 to the comments on Incident Report Criteria and
16 in light of the comments received from the NPRM
17 PHMSA recommends the Committee adopting the
18 proposal with the following changes, adopt an
19 appropriate inflation adjustment based on the
20 CPI at the date of the final rule publication
21 and, secondly, incorporate a formula in Part
22 191 for future updates similar to that proposed

1 by FRA.

2 Chairman Danner, I believe that
3 concludes our discussion of the Incident Report
4 Criteria proposal and we are ready to accept
5 public comments at this time.

6 CHAIRMAN DANNER: All right, very
7 good. And we do have one hand up, so, Darral
8 Ward, go ahead.

9 MR. WARD: Yes, sir. Can you hear
10 me?

11 CHAIRMAN DANNER: Yes, I can. Thank
12 you.

13 MR. WARD: Thank you. My name is
14 Darral Ward. I am the manager of pipeline
15 safety with Boardwalk Pipelines. Boardwalk
16 supports PHMSA's proposal to update the
17 threshold for property damage in the definition
18 of an instant to account for inflation and to
19 establish a new threshold during the calendar
20 year when the rule finalized. We also support
21 PHMSA's proposal to further update the
22 reporting threshold on a periodic schedule,

1 therefore accounting for inflation. This will
2 provide certainty and avoid a repeat of the
3 current situation.

4 I'd like to share with you some
5 typical costs for performing standard pipeline
6 repairs that Boardwalk has incurred in the
7 past. To install a Type B sleeve on a 12-inch
8 pipeline, the average cost could be around
9 \$102,000 and on a 30-inch pipeline it's around
10 \$121,000. To perform a pipe replacement on a
11 12-inch pipeline, the average cost is around
12 \$122,000. And for a 30-inch pipeline, it's
13 around \$144,000. These include normal charges
14 for crews, material labor and inspection. And
15 again, these are entry-level prices. So just
16 of course increasing the current threshold of
17 \$50,000.

18 But the cost of repairing and
19 remediating a leak in today's environment is
20 far greater than it was in 1984. Even with the
21 inflation adjustment, more minor events will
22 still be reported as an incident than would

1 have been then. Reportable incidents are often
2 used as performance metrics. And those metrics
3 are used to judge the performance of the
4 natural gas industry both internally and
5 externally by equating the cost of a repair of
6 often small, minor leaks such as the pin-hole
7 leak that was found by a patrol who notice
8 bubbles in the water, to other events such as a
9 leak the results in injuries or significant gas
10 loss of 3 million cubic feet or more -- namely
11 to a very distorted view of true industry
12 performance.

13 Thank you very much for the
14 opportunity to provide comments.

15 CHAIRMAN DANNER: All right, thank
16 you sir. Matthew Hite?

17 (Pause.)

18 MR. HITE: Good afternoon. Can you
19 hear me?

20 CHAIRMAN DANNER: Yes, we can.

21 MR. HITE: Okay, thank you. My name
22 is Matt Hite and I am offering final comments

1 on behalf of GPA Midstream Association. GPA
2 Midstream supports adjusting the incident
3 reporting requirements to account for
4 inflation. PHMSA established the current
5 \$50,000 threshold more than 25 years ago, and
6 that amount should be increased to eliminate
7 unnecessary incident reporting. As indicated
8 in our written comments, GPA Midstream also
9 supports incorporating a mechanism for updating
10 the incident reporting threshold every two
11 years to account for inflation through direct
12 final rulemaking. Thank you.

13 CHAIRMAN DANNER: Thank you. Chris
14 Williams?

15 MR. WILLIAMS: Yes, thank you.
16 Cheniere Energy also supports raising the
17 threshold and additionally asks PHMSA to
18 consider a higher threshold for large-scale
19 liquefaction facilities. The size and scale of
20 large-scale liquefaction facilities and the
21 specialized nature of the equipment used --
22 such as large diameter cryogenic piping and

1 valves tend to cause any repair and maintenance
2 work to cost orders of magnitude more than the
3 typical pipeline facility repair. Also, these
4 facilities are installed with much of the
5 piping and equipment located at high
6 elevations, suddenly reaching many locations
7 requires the use of scaffolding and cranes.
8 For example, replacing a cryogenic valve with a
9 small packing leak could easily cost several
10 hundred thousand dollars.

11 As the number of these online
12 liquefaction facilities increases, reporting
13 such de minimis releases as incidents could
14 consume both operator and regulatory resources
15 without any appreciable impact on safety, and
16 does not appear to be in keeping with the
17 intent of incident reporting. Thank you for
18 the chance to comment.

19 CHAIRMAN DANNER: All right, thank
20 you. I don't see any other public comments.
21 Let me now turn to my colleagues on the
22 committee. Any discussion on this issue?

1 (No audible response.)

2 CHAIRMAN DANNER: Sara?

3 MS. GOSMAN: Yes, thank you. So I
4 understand the reason for adjusting the data
5 for inflation. And I note that PHMSA does
6 this, already, as it says, when it shows
7 transverse significant incidents. But that's
8 not the only reason PHMSA should gather this
9 information, right? PHMSA would be losing data
10 that could be used to support the agency's
11 analysis of the benefits of the proposed
12 regulation in the future.

13 The data is 40 incidents per year,
14 or 18-percent of the reports. This says costs,
15 of, in the language of the cost-benefit
16 analysis used in this action, has negative
17 benefits when the safety rule cannot be
18 justified.

19 It also takes information away from
20 PHMSA that could help it consider how to
21 address safety issues at all. The fact that
22 these aren't quantifiable, and that negative

1 costs are, doesn't that the importance, right,
2 of the data doesn't exist. And we're saving
3 \$30,000 per year. This is pocket change in the
4 world of regulation. And I think that it's
5 important to gather as much information as
6 possible.

7 I think the other concern I have
8 about this is we're deciding -- you know, I
9 think we've put off this decision about what to
10 do about the threshold, so that PHMSA is
11 continuing to analyze the data using the 1984
12 dollars, while continuing to collect
13 information below that. Right? But by doing
14 this we're deciding that that original \$50,000
15 is the best choice. And I think we should
16 really step back and study the reporting
17 requirements to come up with a better system.

18 Many states have much lower
19 thresholds. So, just looking at the
20 information that I was able to come up with,
21 many states have reporting thresholds of
22 \$5,000. Some have \$25,000. So, the industry

1 is already reporting to these states, and I
2 think that it makes sense to report as well to
3 PHMSA.

4 And the final, I guess, question
5 maybe I have for PHMSA is, you know, when PHMSA
6 is totaling up the property damage costs, is it
7 including the costs of repairing the pipeline
8 that is -- the cost that the commenters were
9 referring to in the public comments, I'm
10 wondering if that goes into the \$50,000
11 threshold. Thank you.

12 CHAIRMAN DANNER: All right.

13 (Simultaneous speaking.)

14 MR. GALE: Yeah, do you want us to
15 address the question from Sara first?

16 CHAIRMAN DANNER: Would you, please?

17 MR. GALE: Yeah, not a problem. And
18 Mr. Keener is also on the line if he wants to
19 jump in, as well. But I believe we've
20 interpreted the current reporting requirements
21 to include those repair costs that the
22 commenter brought up, Sara. So, yes, those

1 type of repair costs, when you're trying to
2 calculate what was the impact of the incident,
3 those repair costs would actually drive you
4 into a reporting criterion -- or to require the
5 submission of the report.

6 CHAIRMAN DANNER: Okay. Sara, does
7 that answer your question?

8 MS. GOSMAN: Yes, thank you. Again,
9 I appreciate the comments made during the
10 public comment section. I think that it's
11 clear to me that, of course, this is very
12 expensive to repair pipelines. But I don't
13 think that that -- the fact that it is says
14 anything other than that we're paying for good
15 repairs and I still think we should have this
16 data available to PHMSA. So, thank you.

17 CHAIRMAN DANNER: Thank you. Mark
18 Brownstein?

19 MR. BROWNSTEIN: Yes, thank you. So
20 a question and a comment. The question is the
21 -- Sara sort of alluded to this. But the
22 \$50,000 number, it would be useful if someone

1 could provide a little insight as to where that
2 came from and why that was the magic number
3 back in 1984 such that we should be adhering to
4 it now. So that's a question.

5 The comment -- to pick up a little
6 bit on what Sara was saying, you know, I'm
7 mindful of the fact that small problems often
8 are -- lead to, or are indicators of, bigger
9 problems. And, you know, in past conversations
10 that this committee has had over various
11 regulatory reforms, you know, we've talked
12 about the value of being able to gather -- you
13 know, of data and develop risk management
14 practices based on data. And as a committee,
15 we generally have sort of bought into that kind
16 of mindset.

17 And yet, here is a recommendation
18 that would potentially take data away, you
19 know, from PHMSA and, by extension, the public.
20 That might be material to understanding the
21 risk profile of the system.

22 And so I am reluctant to sort of go

1 along with this adjustment, understanding that
2 we'll lose data, particularly as it's really
3 hard for me, being relatively new to these
4 topics, to understand what was the purpose of
5 the \$50,000 threshold in the first place. How
6 was that number derived? And whether there was
7 any conversation at that point in time about
8 the trade-offs between data collection and cost
9 of reporting that led to that number being
10 established in the first instance.

11 MR. GALE: So, Chairman Danner --
12 John Gale, if I may?

13 CHAIRMAN DANNER: Okay. So are you
14 going to address the question about -- the
15 original setting the --

16 MR. GALE: Yes, the history. Yes.
17 So, reluctantly, I have to admit that actually
18 I worked in PHMSA in 1984. Maybe in a
19 different capacity, but I actually was here in
20 1984 when it was adopted. But we do not have
21 at our fingertips right now, Member Brownstein,
22 that rulemaking that at -- or the rulemaking

1 history, more importantly, that brought that
2 amendment into the regulation. So if we may,
3 we will have to get that to you after the
4 meeting if that's okay. I understand, you
5 know, that can affect your vote. But right now
6 we do not have that at our fingertips.

7 MR. BROWNSTEIN: No, that's fine.

8 And first of all, let me thank you for your
9 many years of service.

10 (Laughter.)

11 MR. GALE: Thank you, thank you.

12 MR. BROWNSTEIN: And it's been time
13 well spent, for user. But it does sort of
14 underscore the point which is that I sort of
15 feel like there's a formalism here in adjusting
16 this number that maybe causes us to want to
17 think more robustly about this set of reporting
18 criteria.

19 MR. GALE: Understood, thank you.

20 CHAIRMAN DANNER: All right, thank
21 you. Peter Chase?

22 MR. CHACE: Yes, thank you. Let me

1 lower my hand real quick. I guess, speaking as
2 a former statistician, I want to kind of lay a
3 -- stress the importance of comparing similar
4 data over spans of years when you're looking to
5 try and establish trends. So with that result,
6 I fully support this adjustment and doing it on
7 an annual basis. If you look, right now,
8 PHMSA's got a setup where -- I mean, the
9 purpose of incident reporting is to learn what
10 happened in the incident so you can, if
11 necessary, issue advisory bulletins, notices,
12 changed rules, things of that sort.

13 And now you've kind of -- to me,
14 what always seemed to be the ridiculous
15 situation that you take your data incident that
16 you collect, and you ignore it. And then you
17 look at your significant incident data because
18 the other stuff is garbage. And it seems like
19 this rule would just kind of skip that step and
20 allow you to devote resources to thinking about
21 what to do with the data instead of separating
22 the wheat from the chaff, so to speak.

1 Sorry about the dogs. Hey. There's
2 a squirrel.

3 Also I will point out as a state
4 regulator that investigating these incidents is
5 not really cost free. I mean, it is something
6 where we have to mobilize, get instructors,
7 inspectors out into the field. Collect
8 information, pay our overtime, and all that
9 sort of thing. And it's time we're spending on
10 that that we don't have things to spend the --
11 that we can't spend in other places.

12 Now if it is an incident, that's
13 something we ought to be doing and we're happy
14 to do it. I just want to point out, it is
15 really not, you know, a cost-free endeavor for
16 the regulators. And I am sure it isn't the
17 operators as well. And I just want to say
18 this, as long as I have the floor on the
19 subject of incidents. Some of the commenters
20 have touched on this, but some things I see --
21 there are things out there that I would
22 consider routine, non-hazardous leak repairs

1 that are starting to get into the territory of
2 having to be reported as incidents.

3 And this is in Ohio. I can't
4 imagine what it's like in a place like New York
5 City or something of that sort. And I
6 questioned whether that's really the kind of
7 information we want to collect. I don't think
8 that's really an issue for this particular
9 discussion, but long term.

10 I will say, since I came into the
11 program -- I think 11, 12 years ago now -- I
12 think PHMSA has made a lot of good strides
13 taking this incident data and making sense of
14 it and presenting it to the public. So I
15 appreciate what you do there. It's much better
16 than it was 11, 12 years ago. And that's all I
17 have.

18 CHAIRMAN DANNER: All right, thank
19 you Pete. Andy Drake?

20 MR. DRAKE: This is Andy Drake with
21 Enbridge. I just want to hit on a thought that
22 occurred several times -- mentioned that we're

1 losing data. I want to be very clear. I don't
2 think we're losing any data. A lot of the data
3 that we're collecting here would be collected
4 under the annual report the operators are
5 submitting. It would just be reclassified.

6 And I think part of what the point
7 here is that we're -- and I thought, here,
8 Chace did a great job of illustrating that --
9 and that is, as costs continue to increase, if
10 we don't start normalizing them we're -- start
11 stealing data and we're including a lot of
12 pears in the apple bucket. You know, we don't
13 -- now we're giving a lot of things that are
14 masking what's really causing significance
15 incidents, because we have a lot of things
16 starting to fill up the bucket that are minor
17 operational maintenance and routine repair
18 work. And I think to separate that -- or
19 figure out a mechanic to separate that so we
20 can use the data to make appropriate decisions,
21 informed decisions. We don't want to lose the
22 data.

1 I think the minor operational issues
2 -- some of these leaks, the small maintenance
3 issues that we're talking about -- you know,
4 that may be kind of -- you know, amplified by
5 the cost of the repair. We can keep track of
6 those. But when we're trying to make decisions
7 about what risk profiles we have -- what are
8 the highest risks we need to address, what are
9 the prioritization for our mitigation efforts
10 and even regulatory actions? That will help us
11 make those decisions because we've got better
12 data to deal with. And I don't think we're
13 losing any data. We're just going to try to
14 help differentiate it a little bit to help us
15 make better choices. Thank you.

16 CHAIRMAN DANNER: All right, thank
17 you. Diane Burman?

18 MS. BURMAN: Hello, this is Diane
19 Burman. Can you hear me?

20 CHAIRMAN DANNER: Yes.

21 MS. BURMAN: I just want to remind
22 folks, we had, back in 2019, spent a lot of

1 time with the Voluntary Information Sharing
2 System Working Group that grew out of the SAFE
3 PIPES ACT. And that report, which was
4 submitted to Secretary Chao as the final
5 Pipeline Safety Voluntary Information Sharing
6 System Recommendation Report, really clearly
7 laid out that all folks, all stakeholders were
8 very focused on information gathering as
9 appropriate, and the use of that data and
10 learning from that data.

11 So I just think we should be mindful
12 of that when we're looking at this here because
13 I also don't see it as a matter of losing data
14 and I don't think anyone would want to lose
15 appropriate data. It's more focused on what
16 are we doing? What's acceptable? How are we
17 gathering the necessary data and learning from
18 that? So I just want to remind folks about
19 that report because I do think that that is a
20 really helpful guide and the focus on the
21 mission and the goal for SAFE PIPES. Thank
22 you.

1 CHAIRMAN DANNER: All right, thank
2 you. So I was unclear in PHMSA's response,
3 NAPSRS had suggested that PHMSA first study the
4 effects of changing the reportable criteria
5 dollar amount and what impact that would have
6 on providing information for state programs and
7 the public. And I was just wondering if
8 perhaps you can restate that, since I find the
9 written response is not quite clear.

10 (No audible response.)

11 CHAIRMAN DANNER: And that's
12 regarding the NAPSRS comment on page 57.

13 MR. GALE: Sure, Bobby, if you could
14 go back to that slide on -- I think it was 57,
15 as Chairman Danner mentioned.

16 (Pause.)

17 MR. CHACE: And this is Pete Chace,
18 I am the NAPSRS representative. Can I just --

19 MR. GALE: Sure, Pete, go ahead.

20 MR. CHACE: I'll be perfectly honest
21 with you, I'm not exactly sure what that's
22 driving at. The initial comments that we put

1 together from NAPSRS quite frankly said
2 something largely along the lines of where
3 PHMSA is going -- that we think that that
4 dollar amount ought to be looked at and kept
5 consistent from year to year. So you don't
6 just say, \$122,000 and 20 years down the road
7 we've got the same problem we do now. I think
8 that's what that is saying. Hopefully that
9 answers your question. But I think, in
10 summary, NAPSRS's comments are we just want to
11 make sure we're comparing like with like over
12 the years.

13 MR. GALE: Thank you, Pete.

14 CHAIRMAN DANNER: Okay, so you are
15 not asking for -- that this be postponed and
16 that we first undertake a study?

17 MR. CHACE: That is correct. That's
18 my understanding from NAPSRS.

19 CHAIRMAN DANNER: All right, thank
20 you for that. All right, are there any other
21 comments, questions from the GPAC members?

22 (Pause.)

1 CHAIRMAN DANNER: Sara, your
2 microphone is lighting up. Go ahead.

3 MS. GOSMAN: I hit the wrong button.
4 Sorry. Sara Gosman. So when I say losing data
5 I mean it in a very specific way. I mean that
6 the entire regulatory system here is having to
7 respond to the cost-benefit analyses that drive
8 the cost justification for the standards. And
9 that's, I think, granular data -- particularly
10 about incidents -- is really important to those
11 because the result of having less data is less
12 of a chance to show the benefits of safety
13 rules going forward.

14 Operators can have data, certainly.
15 VIS can have data. All sorts of other entities
16 can have data, but I am particularly concerned
17 about PHMSA having data and being able to use
18 it through the cost-benefit analysis.

19 And then, I have a question for Andy
20 about his comment. My understanding is that
21 the annual reports are less granular; that they
22 give counts of incidents, but don't get the

1 kind of information that's in an incident
2 report. Or at least not all of it. So I am
3 wondering if he can educate me on that.

4 CHAIRMAN DANNER: Andy, do you want
5 to educate her on that?

6 MR. DRAKE: Well, I'm not sure I am
7 the best educator on that, but we do have to
8 break down incident by cause and costs in that
9 summary report. (Audio interference.) So
10 there is detail in there that regulator can use
11 to break down those reportable events.

12 CHAIRMAN DANNER: All right, thank
13 you. I mean, I know, in Washington, we collect
14 in the annual reports the leak data
15 information. Peter?

16 MR. CHACE: Yeah, I just wanted to
17 briefly comment. I wouldn't look at this as
18 PHMSA getting less data. I would look at this
19 as PHMSA deciding not to continuously get more
20 and more data. Because the goal of this is to
21 consistently have the same sorts of things
22 reported as incidents and not reported as

1 incidents over time.

2 I will also say that I don't think
3 this wipes away the obligation of operators to
4 look into accidents and failures under 192-617.
5 I can say, in the state of Ohio, that that is
6 something we expect the operators to take a
7 look at. If they have something that causes,
8 for example, property damage, we would expect
9 that operator to learn from it, promulgate
10 changes as necessary. And if it was
11 significant in the eyes of the operator, to
12 report it as an incident.

13 CHAIRMAN DANNER: All right, thank
14 you. Did I see Diane's hand up? Diane, did
15 you want to --

16 MS. BURMAN: I'm good. No, I'm
17 good.

18 CHAIRMAN DANNER: Okay, great.
19 Thank you. Any other comments before we
20 proceed?

21 (No audible response.)

22 CHAIRMAN DANNER: All right. I am

1 hearing none. I think this is the point where
2 we would entertain a motion. Is there someone
3 willing to make a motion here? All right, Ron
4 Bradley?

5 MR. BRADLEY: Yes, Ron Bradley from
6 PECO. I'd like to make a motion that the
7 proposed rule, as published in the Federal
8 Register, and the draft regulatory evaluation
9 with regard to the property damage threshold
10 for reporting incidents are technically
11 feasible, reasonable, cost-effective and
12 practicable if the following changes are made.
13 One, adopt an appropriate inflation adjustment
14 based on the CPI at the date of final rule
15 publication. And the second bullet,
16 incorporate a formula in Part 191 for future
17 updates similar to proposed FRA procedures.

18 CHAIRMAN DANNER: All right, thank
19 you. Is there a second? Sara Longan?

20 DR. LONGAN: This is Sara Longan. I
21 second. Thank you.

22 CHAIRMAN DANNER: All right, thank

1 you. Cameron, do you want to take a vote? Or
2 record a vote.

3 MR. SATTERTHWAITE: Not a problem.
4 Okay, what I will do is the same thing. I will
5 just go through the names, and if you agree
6 with the language, say yes. If not, you can
7 say no. Diane Burman?

8 MS. BURMAN: Yes.

9 MR. SATTERTHWAITE: Peter Chace?

10 MR. CHACE: I vote yes.

11 MR. SATTERTHWAITE: David Danner?

12 CHAIRMAN DANNER: Yes.

13 MR. SATTERTHWAITE: Sara Longan?

14 DR. LONGAN: Yes.

15 MR. SATTERTHWAITE: Terry Turpin?

16 MR. TURPIN: Yes.

17 MR. SATTERTHWAITE: Ron Bradley?

18 MR. BRADLEY: Yes.

19 MR. SATTERTHWAITE: Andy Drake?

20 MR. DRAKE: Yes.

21 MR. SATTERTHWAITE: Mary Palkovich?

22 MS. PALKOVICH: Yes.

1 MR. SATTERTHWAITE: Rich Worsinger?

2 MR. WORSINGER: Yes.

3 MR. SATTERTHWAITE: Chad Zamarin?

4 (No audible response.)

5 MR. SATTERTHWAITE: Oh, sorry. Keep

6 moving. Jonathan Airey?

7 MR. AIREY: Yes.

8 MR. SATTERTHWAITE: Mark Brownstein?

9 MR. BROWNSTEIN: No.

10 MR. SATTERTHWAITE: Sara Gosman?

11 MS. GOSMAN: No.

12 MR. SATTERTHWAITE: And Robert Hill?

13 MR. HILL: Yes.

14 MR. SATTERTHWAITE: All right. The

15 motion carries, 11 to 2.

16 CHAIRMAN DANNER: All right, thank
17 you very much. Now Alan, do we want to take a
18 break now? Or should we keep going? We have
19 three -- three matters -- or four matters under
20 Item 4, so what's your -- what's your direction
21 here?

22 MR. MAYBERRY: Let's take a break,

1 Chairman Danner. And let's say come back at
2 3:00.

3 CHAIRMAN DANNER: So that's one hour
4 from now?

5 MR. GALE: Yes, that's about 57
6 minutes from now. So we'll be in recess until
7 3:00.

8 MR. MAYBERRY: 3:00 Eastern.

9 CHAIRMAN DANNER: Thank you.

10 (Whereupon, the above-entitled
11 matter went off the record at 2:03 p.m. and
12 resumed at 3:02 p.m.)

13 CHAIRMAN DANNER: Thank you,
14 everyone. And we're back on the record. And
15 we're going to get right into the next topics,
16 which are master meters, mechanical fitting
17 failure reports, and plastic pipe, which are
18 three separate topics, but will be a single
19 vote if the committee approves. So why don't we
20 right into master meters and I'll turn it back
21 to you, John.

22 MR. GALE: Thank you, Chairman

1 Danner. Again, this is John Gale and actually,
2 Mr. Chris McLaren will lead our discussion on
3 both the master meters and the mechanical
4 fitting failure form. And then following that,
5 Sayler Palabrica will lead our discussion when
6 it comes to the plastic pipe issues.

7 So saying that, Chris, I'll turn it
8 over to you, sir.

9 MR. MCLAREN: Thank you, John, and
10 Chairman Danner. I'm Chris McLaren with PHMSA
11 State Programs in the Policy and Program
12 Division. I'm going to present master meters
13 and mechanical fitting failure reporting.

14 Some background on master meters,
15 these are covered under 192.1003 where we get
16 the definitions and some high-level
17 requirements and then 192.1015 where the
18 explicit requirements for master meters are.
19 These are both within Subpart P of Part 192,
20 The Distribution Integrity Management Program.

21 A master meter is defined in Part
22 191 as a gas distribution system that purchases

1 metered gas from a local distribution company
2 for resale within a defined area. And they're
3 typically apartment complexes, trailer parks,
4 and there are a few other examples, but those
5 the best. And there are many of them in
6 existence, tens of thousands.

7 A typical master meter system is
8 less than a mile in length, and serves fewer
9 than 300 customers. It typically operates at a
10 significantly lower pressure when compared to
11 other typical distribution systems, something
12 around 10 psi or so. But that depends upon
13 application.

14 Master meters must comply currently
15 with the following simplified DIMP requirements
16 specified in 192.1015. And those typical
17 elements of a management system are: have
18 knowledge of your system, identify threats,
19 rank risks, identify and implement risk
20 reduction measures, measure performance,
21 monitor results, and evaluate effectiveness,
22 and periodically evaluate and improve the

1 program.

2 Many master meter systems rely on a
3 third-party computer program such as SHRIMP to
4 generate a DIMP program for them. Thank you.

5 Some background on our experience
6 with DIMP on master meters is that it has had a
7 low safety impact. Inspection reports indicate
8 effective implementation and compliance with
9 DIMP has been a challenge despite inspector
10 focus. Most master meter systems are small,
11 simple systems that do not require a risk-
12 management regime to protect them adequately.

13 Therefore, DIMP requirements for
14 master meter systems place an unnecessary
15 burden on operators and inspectors. The number
16 of master meter systems and implementation
17 problems create a significant DIMP inspection
18 workload specifically for state inspectors.
19 The requirements for DIMP draw operators'
20 resources towards risk management requirements
21 that they neither need nor understand.

22 By focusing operator and inspector

1 efforts on compliance with basic prescriptive
2 requirements, we would be likely to have a
3 greater impact on safety with less burden.
4 Some of these existing prescriptive
5 requirements include operations and maintenance
6 procedures in subparts L and M which include
7 the abnormal operating procedures and those
8 requirements; utilizing more sensibly
9 continuing surveillance requirements in
10 192.613; and also the failure investigation
11 requirements in 192.617.

12 In the proposed rule, PHMSA proposes
13 to exempt master meter systems from DIMP,
14 subpart P. PHMSA also sought comment on if it
15 was appropriate to extend incident reporting
16 requirements to master meter systems.

17 The National Propane Gas Association
18 and many others commented in support of the
19 master meter exclusions. They further stated
20 that small liquefied petroleum gas, LPG,
21 operators should be subject to the same
22 exclusions. Note that a small LPG system is

1 defined in 192.1001 as a gas distribution
2 system that serves fewer than 100 customers on
3 a single source of LPG, typically a propane
4 tank. And note that the 192.1015 DIMP
5 requirement covers both small LPG and master
6 meter operators.

7 NAPSRS commented in favor of the
8 exclusions, and also requested to exclude small
9 LPG systems and other small distribution
10 operators with fewer than 100 customers from
11 the DIMP requirement.

12 Pipeline Safety Trust did not oppose
13 DIMP exemptions for master meters provided that
14 other minimum safety standards continue to
15 apply and are effectively enforced.

16 PHMSA's response to those comments
17 are that the Transportation Research Board or
18 TRB, published a study of the safety
19 requirements applicable to small LPG systems in
20 2018. The TRB recommended a PHMSA-administered
21 process for approving state waiver programs
22 that would allow a state to exempt small LPG

1 systems from specific requirements on a case-
2 by-case basis rather than a general exception
3 from DIMP or any other prescriptive
4 requirement.

5 The TRB Special Report 327 titled
6 Safety Regulation for Small LPG Distribution
7 Systems is available for a free download at the
8 following website. You have to kind of move
9 through it and act like you're purchasing, but
10 it is complimentary.

11 Based on the comments and
12 conclusions from the TRB study, PHMSA believes
13 that this issue requires additional analysis
14 and notice and comment procedures be applied
15 prior to its inclusions in the discussion.
16 PHMSA will consider the comments and
17 recommendations from the TRB study in a future
18 rulemaking action.

19 Thank you. One industry subject
20 matter expert commented to oppose extending
21 incident reporting requirements to master meter
22 systems and small LPG operators. The commenter

1 suggested that the poor data quality from such
2 operators would degrade the usefulness of the
3 incident database.

4 PHMSA's response is that PHMSA will
5 evaluate if it is appropriate to apply incident
6 reporting to master meters to ensure
7 consistency in the Pipeline Safety Regulations
8 in future rulemaking actions. PHMSA notes that
9 the existing 191.9 does not exempt small LPG
10 operators from incident reporting requirements.

11 Chairman Danner, that's all on
12 master meters. I'll move on to mechanical
13 fitting failures as appropriate unless there's
14 some comments or questions at this time.

15 CHAIRMAN DANNER: Thanks, Chris. I
16 guess if there are any clarifying questions
17 from members?

18 I have one question, Chris. I just
19 want to make sure I'm clear on what the
20 recommendation is right now. Are you still
21 proposing to exempt the master meter systems
22 from DIMP?

1 MR. MCLAREN: Yes.

2 CHAIRMAN DANNER: Okay.

3 MR. MCLAREN: Yes, sir.

4 CHAIRMAN DANNER: Okay, because
5 there was a slide that said you wanted to
6 continue looking at this.

7 MR. MCLAREN: It was for the small
8 LPG operators.

9 CHAIRMAN DANNER: Okay.

10 MR. MCLAREN: Since they're both
11 covered in the 192.1015 regulation together.

12 CHAIRMAN DANNER: Thank you very
13 much. I think you can go on to the MMF now.

14 MR. MCLAREN: Okay. So mechanical
15 fitting failure reporting requirements are
16 found in 192.12 and then within the DIMP
17 regulation also in 192.1009.

18 As a background, mechanical fittings
19 are devices that join pieces of pipe using
20 mechanical pressure rather than welding or heat
21 fusion. These devices are commonly on
22 distribution lines, especially distribution

1 service line connections.

2 In 2011, PHMSA required operators to
3 report leaks caused by mechanical fitting
4 failures that are classified as hazardous
5 leaks, except those that are non-hazardous. A
6 leak is a much broader category compared to an
7 incident since it is not limited by minimum
8 consequence criteria. The mechanical fitting
9 failure form includes basic cause and
10 manufacturing information.

11 Since 2011 in our analysis of the
12 data, PHMSA has not identified statistically
13 significant trends in the MFF data. The
14 Plastic Pipe final rule addresses failures
15 caused by insufficient pullout restraint and
16 inadequate resistance to anticipated loads
17 regarding the requirements for mechanical
18 fittings. And the low reporting criteria
19 results in an average of approximately 15,000
20 mechanical fitting failure reports submitted
21 per year.

22 Attributes about mechanical joint

1 failures are repeated in incident reports for
2 those more significant and consequential
3 events.

4 In the proposed rule, PHMSA proposed
5 to eliminate mechanical fitting failure
6 reporting and to reinstate cross-referenced
7 information in the incident report form. PHMSA
8 also proposed to add a count of leaks due to
9 mechanical fitting failures to the gas
10 distribution annual report form. This allows
11 PHMSA to continue measuring overall trends in
12 mechanical joint performance over time and
13 amongst operators and supports inspectors and
14 inspection and inspection planning.

15 The proposed change eliminates
16 approximately 12,000 to 18,000 reports per year
17 with the average being about 15,000 reports per
18 year, and reduces the burden of providing
19 mechanical fitting failure information by about
20 95 percent. The change has no safety impact.
21 Keeping a count of leaks provides performance
22 information that is valuable to PHMSA and state

1 inspectors.

2 The National Propane Gas Association
3 and others generally support removing
4 mechanical fitting failure reports. Other
5 comments came from equipment providers, Dresser
6 and NORMAC, who were opposed to adding
7 mechanical fitting failure data to the
8 distribution annual report since they are
9 already captured under other categories of
10 leaks.

11 The Pipeline Safety Trust opposes
12 removing mechanical fitting report requirements
13 on the basis that the data is valuable in
14 identifying problems. Removing reporting
15 requirements that are relatively low in cost
16 and could potentially provide insight to future
17 trends in safety as well as regulatory
18 effectiveness is identified as shortsighted.

19 In PHMSA's response, PHMSA disagrees
20 with the changes proposed in the comments from
21 NPGA and industry, Pipeline Safety Trust, and
22 manufacturers. Nine years of data collection

1 of approximately 15,000 mechanical fitting
2 failure reports each year have not provided
3 statistically significant trends in failures of
4 mechanical joints. Conversely, gas
5 distribution incident reports result in
6 approximately 100 reports annually for all
7 causes combined.

8 A future combination of incident
9 reports and a count of leaks on the gas
10 distribution annual report will adequately meet
11 PHMSA's information needs and indicate if
12 circumstances change in the future.

13 Other comments Dresser and NORMAC
14 also provided requests to revise the incident
15 report forms and instructions to clarify joint
16 failure causes. NORMAC requested that PHMSA
17 address the distinction between mechanical
18 fitting and joint by changing terminology in
19 the proposed rulemaking to ensure that its
20 regulations and other actions focused on
21 joints, the making of joints, and the
22 qualifying of joining procedures.

1 And PHMSA's response, other changes
2 to the incident and annual report form are
3 outside the scope of this rule. However, PHMSA
4 will consider these issues raised during future
5 updates to the forms and their instructions via
6 the normal process in the Paperwork Reduction
7 Act. Thank you.

8 CHAIRMAN DANNER: All right, let me
9 go back to the committee members and see if
10 there are any clarifying questions with regard
11 to MFF.

12 Mark Brownstein.

13 MR. BROWNSTEIN: Yes. Thank you, Mr.
14 Chairman. So the clarifying question, PHMSA
15 refers to statistically significant information
16 in discussing the mechanical fitting change.
17 And I'd like to get a little more clarity on
18 what is meant by that phrase or how is that
19 being used in this context?

20 MR. MCLAREN: This is Chris. Thank
21 you. In the analysis of the data, part of the
22 mechanical fitting failure reporting team

1 includes a statistician, who is on staff with
2 PHMSA Southern Region, who also supports other
3 analysis teams. And that has been the term
4 used by the statistician. And in looking at
5 the data, I haven't found any fault with that
6 and we publicly post the data and that's how I
7 infer the use of the term statistically is that
8 it was reviewed and used by a statistician.

9 MR. BROWNSTEIN: Okay, so if I may,
10 as a follow-up, I get that. I guess what -- so
11 you get these 50,000 reports a year. They give
12 information as it relates to leak information.
13 They give information as to the type of pipe,
14 the age of pipe, the location of pipe. And so
15 I'm not sure where the statistical analysis
16 comes into play here. That's what I'm trying
17 to drive at.

18 MR. MCLAREN: Okay, in terms of the
19 data collected which would include the cause of
20 failure, we would also look at where the leaks
21 occur and in what types of applications or
22 service to service is typically the largest

1 one, whether they're steel or plastic, what the
2 typical life span is when one of these failures
3 occur. All of those types of data and
4 information have been looked at for several
5 years and trended and that's the application of
6 the word statistically significant looking for
7 trends.

8 We also do other types of looks at
9 the data -- at different types of data.

10 MR. BROWNSTEIN: So in other words,
11 you're not seeing any patterns in that data.

12 MR. MCLAREN: That would be correct.
13 There would not -- the trends hold constant and
14 the findings are consistent and they are
15 consistent with what we anticipated we would
16 find going into the information-gathering
17 activity.

18 MR. BROWNSTEIN: Okay. Thank you.
19 That's all the questions.

20 CHAIRMAN DANNER: All right, Alan
21 and then Diane.

22 MR. MAYBERRY: I want to remind the

1 folks that the history of this form, we really
2 created it because we did see a trend and so we
3 created this more detailed reporting mechanism
4 and like Chris has pointed out, we really --
5 it's done what it can do for us. We're really
6 not seeing anything, so therefore at this point
7 we'll just drop back to including information
8 on manual report which is where we already, you
9 know, it's the main repository for leaks and
10 inventory and the like and vintage.

11 So it's time to move on and just use
12 that way of collecting the information. We've
13 gotten what we needed to out of it. I just
14 wanted to clarify that. Thanks.

15 CHAIRMAN DANNER: Right. Thank
16 you. Commissioner Burman?

17 MS. BURMAN: Thank you. Can you
18 hear me?

19 CHAIRMAN DANNER: Yes, we can.

20 MS. BURMAN: Great. So I don't want
21 to go backwards. I didn't realize I didn't
22 have my hand up. I want to go back to the

1 master meter issues, so when we're done with
2 the mechanical fitting failure report section,
3 I just want to make sure I raise my question on
4 the master meters at that time.

5 CHAIRMAN DANNER: All right. I
6 think I think I'm looking to see if there are
7 any other clarifying questions with regard to
8 the mechanical things. I'm not seeing any
9 unless Alan your hand is still up.

10 Well, wait a minute. Sara Gosman,
11 do you have question on the MFF?

12 MS. GOSMAN: Yes. Thank you. I
13 just wanted to follow up on Mark's question and
14 ask what was the specific information that
15 PHMSA got from this data so I can understand
16 why it's not needed any more? Thank you.

17 MR. MCLAREN: This is Chris McLaren.
18 The mechanical fitting failure reporting team
19 at PHMSA reviewed the submitted data annually
20 and produced a report that is posted on the
21 PHMSA website under the DIMP website
22 performance measures and we analyzed it each

1 year and continued to look at it. And the data
2 of what types of fittings are failing where, by
3 which cause, and what they're made of. And so
4 that was the -- you know, there's a lot of
5 reports gathered on the mechanical fitting
6 failure form. So we would look at that and
7 typically 67 percent of them are steel fittings
8 and they typically are failing at 46 years.

9 CHAIRMAN DANNER: Chris, is there
10 any chance you could blow that up a little bit
11 on the screen? Thank you.

12 MR. MCLAREN: And so the performance
13 measures in the report go through each year
14 what we had found that year that had changed,
15 as well as the overall data and analysis from
16 all years previous. There are unknown data
17 that occur at high rates such as the
18 manufacturer of the failed component or the
19 component that was involved in the joint
20 failure. And so those are some of the
21 specifics. They are typically nut follower.
22 They are typically coupling type steel fittings

1 involved in service-to-service connections.
2 They typically occur like in the high 90
3 percent below ground and outside and the data
4 has continued to remain consistent.

5 Some early reporting, everybody
6 getting used to the report, was discussed very
7 early on, but the data has normalized the last
8 five years, we think, because of the consistent
9 use of it and that data to us shows that there
10 are no significant trends and that the
11 information collection activity has run its
12 course. Thank you. I hope that answers your
13 question.

14 MS. GOSMAN: So if I may, yes.
15 Thank you very much, Chris.

16 CHAIRMAN DANNER: All right. Thank
17 you. Are there any other questions with regard
18 to MFF?

19 Okay, we're going to step back just
20 a little bit and Commissioner Burman, go ahead.

21 MS. BURMAN: Thank you so much.
22 Hold on for a second. Can you hear me?

1 CHAIRMAN DANNER: Yes, we can.

2 MS. BURMAN: Okay, sorry. So if you
3 go back to slide 64 which I believe is the
4 master meter definition. We've got 64 in the
5 background. Yes, so I'm confused on what
6 constitutes a master meter and it's really I
7 guess I'm just looking for PHMSA's
8 clarification on what most people refer to as
9 the Mall of America interpretation on a master
10 meter and just my own sense of that
11 interpretation and then what would be a master
12 meter if that interpretation is not clarified.
13 It may mean in some states having significantly
14 new and create folks who are deemed master
15 meter operators which could range in many areas
16 simple, small landlords, schools, and others.

17 And so I guess I'm just trying to
18 get a feel for where PHMSA is with this Mall of
19 America interpretation because many of these
20 entities won't have the same knowledge and
21 expertise that an LVC would. And I just really
22 want to make sure we're carefully thinking

1 about that interpretation, about the definition
2 of what constitutes a master meter and then
3 what would need to be done if that
4 interpretation stands in terms of educating
5 folks on what all that means.

6 MR. GALE: Okay, Chris, do you want
7 to respond to that?

8 MR. MCLAREN: Sure. This is Chris
9 McLaren and the definition of a master meter, I
10 guess is what I can address, that it supplies
11 the ultimate consumer either purchase the gas
12 directly through a meter or by other means such
13 as rent. The typical examples are those
14 provided beyond what's in 191 and referring to
15 the interpretation for the Mall of America. I
16 don't have any additional information on that.
17 Thank you.

18 MR. GALE: And Chairman Danner, if I
19 may, this is John Gale.

20 CHAIRMAN DANNER: Yes.

21 MR. GALE: Thank you, Diane, for
22 that comment and we know there is some concerns

1 relative to the Mall of America interp. But
2 you know, that gets into what is or what may
3 not be a master meter or in that matter some
4 entity subject to our regulations.

5 The proposal in front of us today is
6 simply for those that are master meters, we
7 would exempt them from DIMP. So though the
8 issue of the master meter is a very challenging
9 one and we do get a lot of questions from
10 different entities, both state and the
11 operators themselves, as are they covered under
12 the regulations as a master meter or what
13 constitutes a master meter? And that's a
14 challenge for my office on a fairly regular
15 basis.

16 But I think what's in front of us
17 right now is if an entity is a master meter,
18 should we subject them to DIMP or not? And our
19 recommendation is as you see in the proposal,
20 based even on the public comment is that we
21 should exempt them from those DIMP
22 requirements, but rest assured, we are

1 continually looking at what our regulations say
2 and especially what our interpretations have
3 said with regard to master meters and we hope
4 to clarify those in the future. Thank you.

5 MS. BURMAN: Thank you. I'd just
6 like to put in a plug for needing to do that
7 sooner rather than later. I think it's a
8 really important issue in looking at the Mall
9 of America interpretation. I'd like to see
10 that clarified in sort of layman's terms and
11 discussion on if it's to stand as a stricter
12 interpretation, what educational campaign is
13 done ASAP to work with those folks who would
14 normally not have been considered master meter
15 operators, but now would find themselves that
16 because could be a real disconnect, so I
17 appreciate if PHMSA works with folks on that.

18 MR. GALE: Thank you, Ms. Burman.

19 CHAIRMAN DANNER: All right, any
20 other clarifying questions on master meters or
21 MFF? We're going to move on.

22 So back to you, John or Sayler.

1 MR. PALABRICA: Okay, so the next
2 topic is a handful of amendments related to the
3 requirements for plastic pipe.

4 PHMSA published a final rule
5 addressing a number of plastic pipe topics in
6 November of 2018. The rule allowed a design
7 factor of 0.40 rather than 0.32 for
8 polyethylene pipe with certain conditions
9 including a minimum wall thickness based on
10 ASTM D2513 which is the ASTM standard governing
11 the design specifications for plastic pipe
12 that's incorporated by reference in Part 192.

13 And addition did not include wall
14 thickness specifications for sizes larger than
15 12 inches. And so in our requirements it
16 didn't include those larger sizes either.

17 However, PHMSA indicated in the
18 preamble of that rule that it would evaluate
19 newer editions of ASTM D2513 and consider
20 allowing larger-diameter pipe with a 0.40
21 design factor in the future based on that
22 review.

1 PHMSA staff has reviewed the updated
2 edition of D2513-18a edition and determined
3 that incorporating it by reference into part
4 192 is justified. And that new revision
5 includes minimum wall thickness specifications
6 for sizes up to 24 inches and PHMSA has no
7 technical issue with allowing a 0.40 design
8 factor for those sizes.

9 So this is additional background for
10 another amendment under this topic related to
11 joining procedures. ASTM F2620 describes
12 procedures for making heat fusion joints on
13 polyethylene pipe.

14 Section 192.281(c) requires heat
15 fusion joints on PE pipe comply with that
16 standard. And Section 192.285(b)(2) allows
17 visual inspection and testing in accordance
18 with ASTM F2620 as an option for evaluating a
19 polyethylene pipe joiner's test joint prepared
20 for requalification.

21 So additional background on that --
22 on this portion. In the preamble of the

1 Plastic Pipe Rule, PHMSA indicated that
2 alternative procedures comparable to ASTM F2620
3 could be acceptable if the operator can
4 demonstrate the differences are sound and
5 provide an equivalent or better level of
6 safety. However, that was not made clear in
7 the regulatory text itself and so in response,
8 the American Gas Association submitted a
9 petition for reconsideration suggesting
10 allowing other procedures qualified in
11 accordance with 192.283, including two
12 standards developed by the Plastics Pipe
13 Institute.

14 And finally, newer editions of ASTM
15 F2620 include safety improvements and clarify
16 how that document relates to other industry
17 standards including those referenced by AGA in
18 their petition.

19 So in response to those issues with
20 regards to ASTM D2513 and the design
21 specifications for polyethylene pipe, PHMSA
22 proposed to incorporate by reference the 2018a

1 edition of that standard and allow a 0.40
2 design factor for PE pipe with a diameter up to
3 24 inches outside diameter based on the
4 specifications in that revised document.

5 With respect to joining procedures,
6 PHMSA proposed to incorporate by reference the
7 2019 edition of ASTM F2620. We note the newer
8 document clarifies how the standard relates to
9 other standard practices referenced in AGA's
10 petition, and additionally clarifies that
11 written procedures that have been demonstrated
12 to be equivalent or superior to ASTM F2620 are
13 permitted.

14 In addition to those major topics,
15 there are a couple of miscellaneous amendments
16 and corrections. In 192.121, we're revising
17 the term design formula to design pressure. We
18 are correcting the minimum wall thickness for 1
19 inch CTS pipe based on the ASTM standards for
20 each of the materials referenced. And that was
21 polyethylene, polyamide materials. And clarify
22 that pipe produced on the effective date of the

1 plastic pipe final rule may use the design
2 factor.

3 And then in 192.283(a)(3), correct
4 "no more than" to "no less than" and clarify
5 that the test reference there is a tensile
6 test.

7 And, finally, clarify that specimen
8 PE heat-fusion joints inspected under
9 192.285(b)(2)(i) must be visually inspected in
10 accordance with F2620 and then tested in
11 accordance with 192.283(a) to better reflect
12 the text of F2620.

13 So for comments on these plastic
14 pipe amendments, the associations and many
15 other industry entities generally supported the
16 changes to the plastic pipe regulations.

17 The Pipeline Safety Trust responded
18 with no comment on this item. And many
19 industry commenters stated support of this item
20 without additional comment.

21 And we appreciate the feedback on
22 the proposed rule.

1 The associations commented that the
2 proposed revision to table -- for the minimum
3 wall thickness specifications does not include
4 SDR 11.5, 1 inch CTS pipe and this is referring
5 to the 1 inch CTS pipe wall thickness
6 correction in the miscellaneous amendment which
7 had -- and that size has a .099 wall thickness
8 and the commenter said that it is in common
9 use. The associations requested that PHMSA
10 include SDR 11.5 in that table. And NAPSR
11 requested clarification on this issue as well.

12 And PHMSA's response is a .099 inch
13 wall thickness most closely corresponded to SDR
14 11 for 1 inch CTS pipe which was what was
15 adopted for the adjacent CTS. However PHMSA
16 does not object to objecting a .099 inch wall
17 thickness and we note that the two
18 specifications are within allowable tolerances
19 of each other in the ASTM code.

20 The Plastics Pipe Institute supports
21 the IBR of the updated industry standards to
22 ensure the latest materials, testing, and

1 innovations are recognized in Part 192. And
2 they recognize safety improvements in D2513-
3 2818a such as UV protection and dimension
4 tolerance, although noted that it's not the
5 latest edition of that standard any more.

6 PPI also requested reference to
7 specific example procedures TR-33 and TR-41,
8 though commenters said that they are not
9 requesting IBR of those procedures.

10 However, PHMSA cannot IBR documents
11 that have not been subject to notice and
12 comment. However, if an operator can
13 demonstrate that their alternative procedure
14 based on those documents provides an equivalent
15 or a superior level of safety compared with
16 ASTM F2620, it would be acceptable under the
17 proposed amendment.

18 PPI strongly supported the change to
19 increase the allowable dimensions for
20 polyethylene pipe using a .4 design factor up
21 to 24 inches along with updating the
22 corresponding wall thickness tables. However,

1 they also requested that PHMSA update
2 192.121(a) to allow hydrostatic design basis
3 ratings established at 180 degrees Fahrenheit
4 which is allowable in TR-4, incorporated by
5 reference, but not by the text of 192.121.

6 PHMSA notes that we proposed no
7 changes to the design formula, and so this
8 comment is out of scope of the proposed rule.

9 However, PHMSA will evaluate this issue for
10 future rulemaking if appropriate after
11 analyzing the issue.

12 PHMSA notes that operators are
13 permitted to interpolate the design formula
14 down from 180 degrees Fahrenheit, but cautions
15 that not all polyethylene compounds are rated
16 at that temperature.

17 This concludes the PHMSA response to
18 comments on master meter, mechanical fitting
19 failure, and plastic pipe topics.

20 In light of the comments received
21 from the NPRM, PHMSA recommends the committee
22 consider adopting the proposal with the

1 following changes. Regarding master meters and
2 DIMP applicability, no changes to the NPRM are
3 recommended. However, PHMSA will consider the
4 comments received with regard to small LPG
5 systems, the TRB report, and propose
6 appropriate revisions to the regulation of such
7 systems in a future rulemaking action.

8 Regarding the MFF amendments, no
9 changes to the NPRM are recommended. And
10 regarding plastic pipe, modify the minimum wall
11 thickness table for polyethylene to specify a
12 .099 inch minimum wall thickness for 1 inch CTS
13 pipe rather than 0.101 inches.

14 And that concludes the discussion of
15 the plastic pipe topics and the recommendations
16 for master meters, MFFs, and plastic pipe.

17 CHAIRMAN DANNER: All right, thank
18 you. So we have three separate issues that
19 we're taking public comment on at the same
20 time, so --

21 MR. GALE: Chairman, this is John
22 Gale. I think we're ready to receive public

1 comments on these issues on any way which you
2 want to manage this.

3 CHAIRMAN DANNER: All right. So
4 what I think I'll do is -- let's open it up for
5 those who want to discuss master meters
6 specifically. And then we'll come back and
7 we'll call on people a second time if they're
8 wanting to talk about more than one issue.

9 So first any public comment on
10 master meters?

11 All right. I am seeing no one
12 wishing to comment on master meters. Is there
13 any public comment on MFF?

14 All right. I am seeing no public
15 comments on MFF. Is there any public comment
16 on plastic pipe?

17 MR. GALE: Chairman, I believe we
18 see -- I see Lane Miller's hand up.

19 CHAIRMAN DANNER: Oh, I do too. I'm
20 sorry. All right, are the hands that are up,
21 are they in regard to MFF or to plastic pipe?
22 Lane Miller?

1 MR. MILLER: For the MFFR report.

2 CHAIRMAN DANNER: Yes, go ahead,
3 sir.

4 MR. MILLER: Can you hear me okay?

5 CHAIRMAN DANNER: Yes, we can.

6 MR. MILLER: Good afternoon, ladies
7 and gentlemen. My name is Lane Miller and I'm
8 with TRC and I'm representing Norton
9 Manufacturing Company also known in the
10 industry as NORMAC, and I really appreciate the
11 opportunity to provide public comments
12 concerning this rulemaking project.

13 As with many others in the industry,
14 we appreciate the efforts PHMSA is taking to
15 address the proposed modifications to the
16 regulations without compromising safety.

17 NORMAC encourages PHMSA and the GPAC
18 to consider some of the written recommendations
19 made by NORMAC.

20 The first key recommendation
21 concerns the addition of the standalone
22 category of mechanical fittings in Part C of

1 the annual report.

2 This section of the annual report
3 requires the operator report the total number
4 of leaks and hazardous leaks by cause, and
5 since the focus of this section of the annual
6 report is about what caused a leak as described
7 by the category, NORMAC doesn't understand the
8 reason why PHMSA would introduce a category
9 that really asks the location of the leak.

10 All of the categories described in
11 Part C start with the words "leaks caused by"
12 or "leaks resulting from," but then the
13 instructions for the mechanical joint failure
14 also states a leak caused by a mechanical joint
15 failure, and then they go on to define what a
16 mechanical joint is as far as a fitting between
17 two sections of pipe, but a mechanical fitting
18 doesn't cause a failure, just like a weld,
19 flange, a valve doesn't cause a failure.

20 If a pipe weld fails, it's due to
21 something either by corrosion, hit by a
22 backhoe, vibration, something. It takes

1 something else and it doesn't fail on its own,
2 but based upon what's proposed, the resulting
3 addition is the location of the leak. This
4 would be the same as asking an operator to
5 report thread leaks, which is a joint on a
6 pipeline, but the answer provides a location,
7 but not the cause.

8 NORMAC feels that mechanical joint
9 failures are already addressed in the category
10 definitions and the instructions for the annual
11 report for pipe weld and joint failure or
12 incorrect operation.

13 The pipe weld and joint failure
14 category addresses material defects for all
15 types of fittings and components. It also
16 directs the operator to file under incorrect
17 operation if the cause of the leak is due to
18 poor construction.

19 As provided in the docket PHMSA has
20 shown in post markups to the annual report and
21 the instructions, the new category of
22 mechanical joint is described, but the pipe

1 weld and joint failure category has not been
2 modified.

3 Since this hasn't been modified, it
4 appears that an operator would have to report
5 in both locations, doubling the number of leaks
6 reported for the same leak if a mechanical
7 joint is involved.

8 So, the question is how does an
9 operator report a leak on a line that's been
10 hit by a third party and the leak is located on
11 an older style mechanical fitting, that
12 category 2 or category 3, and they got to pull
13 it apart? Would this be an excavation damage
14 or a mechanical joint failure, or both?

15 Additionally, by adding this
16 reporting requirement in Part C, PHMSA seems
17 like they're canceling out some of the savings
18 that they're counting on by removing that part
19 and then moving that over into the annual
20 report.

21 The second recommendation concerns
22 the gas distribution incident report and the

1 modifications for sub-clause 5, pipe weld and
2 joint failure under Part G.

3 With the new proposal, NORMAC has
4 discovered at question 12 of G5 is duplicating
5 the question in the question concerning poor
6 workmanship, procedure not followed, or poor
7 installation procedures that are the same in
8 G7.

9 So, it seemed like that where
10 material, or excuse me, the pipe weld and joint
11 failure talks about material component failure
12 and it's not about poor workmanship, those need
13 to be removed and depend on Section G7.

14 The third recommendation concerns
15 the data fields that are used in the current
16 MFFR which are now being proposed to be placed
17 in the sub-clause G5 pipe weld and joint
18 failure under Part G.

19 In some of those questions that have
20 been in the original MFFR, one of them seems
21 like there's an opportunity to provide some
22 clarity. It's brand-new into the annual

1 report, an opportunity to really identify what
2 it means.

3 NORMAC recommends modifying the
4 proposed question F-I which asks how did the
5 joint failure occur, which is stemming over
6 from the MFFR.

7 Based upon the choices of answers to
8 give, the question is really asking for the
9 type of joint failure. Those choose leak
10 through seal, leak through body, pulled out or
11 other. None of these choices describe how the
12 joint failed, but the type of joint failure.

13 This concludes my comments. Thank
14 you very much for your time.

15 CHAIRMAN DANNER: All right, thank
16 you. Brian Moidel?

17 MR. MOIDEL: Thank you. Can you
18 hear me?

19 CHAIRMAN DANNER: Yes, I can.

20 MR. MOIDEL: Okay, good afternoon.
21 My name is Brian Moidel. I'm the principal
22 engineer at Dominion Energy Ohio and I oversee

1 their plastic piping program.

2 Dominion Energy Ohio has
3 approximately 1.2 million services, 20,000
4 miles of distribution main, 1,000 miles of
5 transmission pipelines, and 800 miles of
6 gathering pipelines.

7 We appreciate the opportunity to
8 comment to the committee on this notice of
9 proposed rulemaking related to plastic pipe.

10 We would like to support PHMSA's
11 decision to change Table 1 labeled PE pipe,
12 minimum wall thickness and STR values under
13 192.121(c)(2)(iv) for polyethylene pipe from a
14 minimum wall thickness for one-inch CTS SDR 11
15 of 0.101-inch wall thickness to SDR 11/11.5
16 0.099-inch wall thickness.

17 This notice of proposed rulemaking
18 originally spoke about using a minimum wall
19 thickness of 0.119-inch for one-inch CTS
20 plastic in polyethylene plastic piping systems.

21 Dominion Energy Ohio and Dominion
22 Energy West Virginia combined uses

1 approximately 1.1 million feet annually as its
2 service line standard for median pressure
3 customers up to 60 pounds, and have done so for
4 many years with the one-inch CTS 0.099.

5 Many other distribution operators
6 also utilize one-inch CTS PE-2708 plastic pipe
7 with a wall thickness of 0.099 inches. Well,
8 after speaking to the two most prominent
9 plastic pipe manufacturers in the United
10 States, I obtained the following information.

11 Manufacturer number one stated in
12 the past 12 months, approximately 94 percent of
13 the one-inch CTS median density PE-2708 pipe
14 that they make was 0.099-inch wall.

15 Manufacturer two stated in the past
16 12 months, approximately 95 percent of the one-
17 inch CTS median density PE-2708 pipe they
18 shipped was 0.099-inch wall.

19 In addition, one-inch CTS 0.099-inch
20 wall PE-2708 has design pressures of 77 PSIG
21 with a 0.32 design factor, and 96 PSIG with a
22 0.40 design factor at 73 degrees Fahrenheit, so

1 from a design perspective, it is perfectly
2 acceptable to use in these situations.

3 Without this change, Dominion
4 Energy, other U.S. natural gas distribution
5 companies and manufacturers will have to scrap
6 perfectly good plastic pipe in this size and
7 wall thickness for no good reason other than a
8 wall thickness difference of two-thousandths of
9 an inch.

10 End users will have to special order
11 new pipe. This will not only affect the
12 plastic pipe manufacturers and end users. It
13 will also affect plastic fitting manufacturers
14 and their supply chains as the produce valves,
15 polyethylene valves, risers, EFEs, and
16 mechanical fittings with one-inch CTS 0.099-
17 inch wall thickness connections.

18 In concluding, this pipe has been
19 used for years with no apparent safety or
20 performance issues. I just want to thank the
21 committee for the opportunity to speak on this
22 important matter.

1 CHAIRMAN DANNER: All right, thank
2 you very much. I don't see any other hands up
3 with regard to any of these three issues, so
4 this is kind of a last call for public comment.

5 All right, seeing nothing, let's go
6 back to the advisory committee members, and
7 once again, why don't we break these down and
8 let's first talk about master meters. Is there
9 anyone who wishes to discuss that issue? All
10 right, I see Ron Bradley's hand.

11 MR. BRADLEY: Thank you, Chairman,
12 Ron Bradley from PECO, just a comment, you
13 know, as we go through this discussion and talk
14 about master meters and the other items.

15 The one that I wanted to just put on
16 the record relative to master meters is when
17 this first came to light, I did struggle a bit,
18 but then after really spending time looking at
19 the comments and understanding, you know, some
20 of the pushes, I absolutely appreciate, you
21 know, some of the comments, specifically the
22 comment that, you know, that some opposed

1 initially, but, you know, making sure that the
2 master meters do stick with minimum standards
3 and requirements when running their businesses.

4 You know, this isn't one of those
5 signaling that there's no regulation required,
6 but only that the DIMP program is one that
7 we're willing to vote away.

8 I really appreciate the fact that
9 there will be focus on operations and
10 maintenance procedures in Subparts L and M,
11 there will be focus on continued surveillance
12 requirements as in 192.613, and continued focus
13 on failure investigation requirements as in
14 192.617. I just wanted to make that statement.
15 Thank you.

16 CHAIRMAN DANNER: Thank you, and I
17 share those comments and it leads to a
18 question. How does this get communicated to
19 the master meter operators?

20 How do we make sure that they
21 understand that this is not walking away from
22 safety regulation, but simply removing some of

1 the requirements, but that they are otherwise
2 bound to follow the protocols that PHMSA
3 requires?

4 MR. GALE: Chairman Danner, this is
5 John Gale again. So, one of the things
6 obviously we can do is make sure that the
7 preamble is very clear to these points, but I
8 think we'll then have to do some outreach maybe
9 through some of our state partners to get this
10 information out to those entities that are
11 considered master meters so that they fully are
12 aware of what this change is, and to some
13 degree, what the change isn't, so that they are
14 --

15 You know, this isn't an exception
16 from, you know, like we had some uncertainty as
17 to the farm tap issue earlier. This isn't an
18 exception from Part 192, for example. This is
19 an exemption or an exception from a specific
20 provision of Part 192.

21 So, we'll take a look at all of our
22 means available to get the word out and not

1 just simply rely on a Federal Register kind of
2 communication means in this situation because
3 this is a little bit harder group to get to for
4 sure.

5 CHAIRMAN DANNER: And that's
6 certainly been our experience, and out in
7 Washington, of course, we're able, we're
8 willing and eager to help you in that effort.
9 Alan Mayberry?

10 MR. MAYBERRY: Yeah, I was just
11 going to add to that, Chairman, is that, you
12 know, following a pattern we've done with other
13 rulemakings that seems to work really well is
14 we'll develop an implementation plan.

15 And I'm sure we will work very
16 closely with, you know, the states, you know,
17 your organization and others to ensure that we,
18 you know, get the word out in the appropriate
19 ways, but, you know, and we'll work as well
20 with you to, you know, develop the
21 implementation plan for it, so, thanks, good
22 question.

1 CHAIRMAN DANNER: All right, well,
2 thank you very much. Are there others who wish
3 to speak to master meters? All right, then
4 anyone wish to speak to the mechanical fitting
5 failure? Rich Worsinger?

6 MR. WORSINGER: Rich Worsinger,
7 Wilson, North Carolina. Actually, I had
8 trouble getting my hand up. I wanted to make a
9 comment about master meters.

10 CHAIRMAN DANNER: Well, you go right
11 ahead.

12 MR. WORSINGER: Thank you. Probably
13 most of you are aware of the APGA SIF program,
14 the Safety and Integrity Foundation that was
15 founded in part by PHMSA, developed the SHRIMP
16 program to help many of the smaller systems
17 comply with DIMP.

18 Many of the master meter companies
19 and master meter users use SHRIMP to help them
20 comply with the DIMP requirement. We can also
21 reach out to them to communicate anything else
22 that can help them in complying with the DOT

1 regulations.

2 MR. GALE: This is John Gale. Thank
3 you, Rich. We'll make sure to take advantage
4 of that.

5 MR. WORSINGER: 10-4.

6 CHAIRMAN DANNER: Thank you, Rich.
7 Okay, so we're going to go back to MFF, and I
8 see Sara Gosman has got her hand up. Sara?

9 MS. GOSMAN: Thank you. So, I would
10 like to ask a question of PHMSA if I may, and
11 that's so I understand that the information
12 here that you'll now be gathering is in the
13 annual reports, and my understanding of why
14 this information was gathered to begin with was
15 a concern about incidents, right, or coupling
16 failures.

17 So, I'm wondering how the total
18 numbers of these leaks will help PHMSA in
19 making decisions about future regulations when
20 the data they currently have is more granular?
21 Thank you.

22 CHAIRMAN DANNER: All right, that's

1 a question for PHMSA.

2 MR. McLAREN: This is Chris McLaren,
3 and so the MFFR or joint failure data is being
4 looked at to be included with more granularity
5 in both the annual report and incident report,
6 and within the annual report, the total number
7 would allow an understanding of how that number
8 is moving over time, and also to support
9 inspector inspections such that understanding
10 if that is a drill down that needs to be
11 further discussed with the operator to
12 understand which type of mechanical fittings or
13 failing and where, from what causes. Thank
14 you.

15 MR. MAYBERRY: Mr. Chairman, this is
16 Alan Mayberry if I may.

17 CHAIRMAN DANNER: Yes, go ahead.

18 MR. MAYBERRY: You know, our
19 databases really serve a variety of
20 stakeholders, well, all stakeholders, so I
21 would expect as this data is accumulated
22 through our annual reports, you know, much like

1 the other data, it really informs what Chris
2 just said, but not just that, you know, our
3 inspection program or the state inspection
4 program, but also the various distribution and
5 integrity management programs that operators
6 have.

7 Because we do expect, you know,
8 through those programs that operators are
9 chasing the risk and addressing the risk, and I
10 would expect that that risk is identified
11 through the numbers that will be reported, much
12 like they are related to, you know, leaks, and
13 cast iron inventory, and the like, that the
14 risk is addressed commensurate with, you know,
15 what the data is showing.

16 So, I fully expect that that will be
17 done and obviously be something that we as
18 regulators will look to see that operators
19 address the risk appropriately.

20 CHAIRMAN DANNER: Thank you. Mark
21 Brownstein?

22 MR. BROWNSTEIN: Yes, thank you, Mr.

1 Chairman. So, I guess I struggle with this one
2 a little bit for a couple of reasons, first of
3 all because as we've seen over the last several
4 years in doing our field research on methane
5 emissions associated with gas transmission and
6 distribution, that leaks at the service, you
7 know, at the service line couplings are, you
8 know, important in the overall methane
9 footprint coming from the gas utility industry
10 and may be an underappreciated source of
11 emissions overall.

12 And so having the robust database
13 with regard to the source of the leaks, the
14 materials associated with the leaks, and so one
15 and so forth is incredibly important not just
16 for PHMSA, but I think for state environmental
17 agencies, for the federal environmental agency,
18 and frankly for public service commissions for
19 whom decisions need to be made or oversight
20 needs to be given to capital allocation
21 requests that utilities come in with when
22 they're thinking about investing or asking for

1 rate treatment for investments in upgrading and
2 improving their systems.

3 So, on the one hand, I appreciate
4 the fact that the PHMSA staff has looked
5 carefully at this data and believes that they
6 have gleaned all that they can glean in terms
7 of insights, but I am left wondering whether
8 that's the full story or the end of the story
9 in terms of the usefulness of the data, so
10 that's number one.

11 I guess number two for me is if this
12 were a big ticket cost item, I might be more
13 sympathetic with the idea that this is an
14 important reform to address, but if I
15 understand this correctly, it's, you know, in
16 the neighborhood of \$900,000 of savings, which,
17 you know, in the general scheme of things, is
18 not incredibly significant.

19 So, I do sort of wonder whether the
20 marginal additional costs of collecting this
21 data isn't, you know, trivial relative to some
22 of the benefits that we could hope to get, not

1 just in the context of PHMSA, but in other
2 contexts.

3 CHAIRMAN DANNER: So, I guess I
4 would like to ask, I mean, the operators are
5 still required to report and investigate
6 failures, so where are we -- where is the
7 scrutiny slide? What are we going to be
8 missing here? And that's a question, I think,
9 for PHMSA.

10 MR. McLAREN: This is Chris McLaren,
11 and in terms of what would be missing, the
12 192.617 requirement for investigation of
13 failures is applicable, but also as Alan
14 mentioned, the distribution integrity
15 management program where operators are
16 monitoring their threats and required to take
17 risk mitigation actions as appropriate based on
18 an evaluation and ranking of those risks.

19 The 15,000 reports annually that
20 would go away, I think that the inspection and
21 required monitoring of those threats is
22 expected to still occur. The data has shown

1 that the trends are consistent.

2 I think the data shows through our
3 website as well as in our annual report,
4 consistently show that these are the typical
5 failure causes, and where they are occurring,
6 and what material types, et cetera.

7 And I think that adequately
8 addressing and having a number of them allows
9 inspectors to understand the operators' threat
10 level with those mechanical fitting failures.
11 Does that answer your question?

12 CHAIRMAN DANNER: Yeah, it does. I
13 mean, I was trying to see, I mean, first of
14 all, it seems that you're using data to figure
15 out what you don't need to collect, but that we
16 also have sufficient reporting that we can
17 probably get to the answers we're looking for.

18 At least, that's my take on it. I
19 could be persuaded otherwise, Mark Brownstein,
20 if you want to go ahead.

21 MR. BROWNSTEIN: Yeah, Mr. Chairman,
22 so just to be specific, so right now, and thank

1 you for putting, you know, the report up on the
2 screen, we're asking for, you know, information
3 on leak location, year installed, year
4 manufactured, manufacturer, lot number, the
5 material. In the annual reports, we'll still
6 be getting all of this information, but we'll
7 just be getting, you know, generically the
8 number of leaks.

9 MR. GALE: Mr. Brownstein, this is
10 John Gale. What you're going to get is
11 generically the number of leaks, but as I
12 understand, and Chris or Saylor can provide
13 further clarity, I think some of the
14 information you're seeing there regarding part
15 number, lot number, or manufacturer is a lot of
16 information in many cases that the operator
17 can't get to because there's not the records or
18 the information available to them when these
19 leaks occur.

20 So, you know, I think we've seen the
21 trends. We're not seeing changes in the
22 trends, so we have knowing what we know so to

1 speak at this point, but we do think it's
2 important to continue to keep track of these in
3 maybe a more 64,000 foot level of the number,
4 but we think we've gained the data we need to
5 gain to make any decisions, even if we need to
6 make these decisions in the future.

7 MR. BROWNSTEIN: Okay, well, no, and
8 that's fair and I hear that. I was just trying
9 to get a little more clarity around the
10 question the Chairman asked in terms of so what
11 we -- you know, if we make this change, here is
12 what we won't be getting, you know, going
13 forward, so I at least have a better
14 understanding of that, so thank you.

15 MR. GALE: Yeah.

16 CHAIRMAN DANNER: Sara, go ahead.

17 MS. GOSMAN: Thank you. So, I guess
18 in addition to all that Mark has expressed,
19 which I agree with, I think that it's hard,
20 particularly when it comes to information
21 gathering, to try to see the what would have
22 happened if, right, you hadn't gathered this

1 information, or another way of framing that is
2 the very act of gathering the information can
3 alter behavior.

4 And I think that that's one concern
5 I have here is, you know, it's not just that
6 you're getting this information as PHMSA and
7 you've decided you don't need it anymore,
8 right, but you're also using -- well, yes,
9 you're having reports, right, of particular
10 information.

11 You're also putting this on your
12 website as part of your performance measures
13 for DIMP, and that in turn, you know, creates a
14 kind of public disclosure here of this
15 information that, again, I think it's hard to
16 know exactly how that might alter behavior.

17 And I don't know that we can say
18 that there would have been the same lack of
19 incidents, for example, if we had not gathered
20 this information, or that we wouldn't see that
21 in the future maybe more precisely here.

22 So, in addition to my general

1 feeling that in a system in which we are
2 relying on operators for integrity management
3 decisions that are largely within their hands,
4 that the tradeoff for that is the PHMSA gathers
5 as much information as it can to be overseeing
6 that as a regulator, I think I have a
7 particular concern about the arguments being
8 made here in terms of the usefulness of the
9 information.

10 CHAIRMAN DANNER: All right, Peter
11 Chace? Peter Chace, did you have your hand up?

12 MR. CHACE: Sorry, there's this
13 unmute feature on my computer I figured out
14 just now.

15 CHAIRMAN DANNER: It's challenging
16 to all of us. Don't feel down.

17 MR. CHACE: Yeah, I just wanted to
18 talk about the issue of what we're, of looking
19 at leak causes. Honestly, I kind of feel
20 that's what the state programs do and what
21 we're for. Just for the record, we do look at
22 these operators' DIMP programs and how they're

1 classifying and analyzing leaks.

2 I personally think the issue of
3 reporting or not reporting on, you know, the
4 mechanical fitting failure report is probably
5 independent from the state programs looking at
6 what operators are doing with their DIMP
7 programs and them saying that leak causes are
8 investigated and understood.

9 So, that's just my two cents. I
10 feel that's what state programs are for and now
11 that's our role.

12 CHAIRMAN DANNER: All right, thank
13 you, and that's what I'm hearing from my state
14 program director as well, and so that's why I
15 probably has less discomfort with this than
16 some of the, than Sara or others.

17 Are there any other hands up on this
18 issue? All right, any discussion on plastic
19 pipe? Okay, Sara?

20 MS. GOSMAN: I should have asked
21 this question during the discussion, the
22 briefing, and I apologize for that. I just

1 wanted to make sure I understood. Are any of
2 the proposed changes here, the design factors,
3 being applied to existing plastic pipelines?

4 That is, is it creating the same set
5 of issues that I highlighted in the pressure
6 vessel context? This is a question for PHMSA,
7 sorry.

8 CHAIRMAN DANNER: That's all right.
9 All right, PHMSA, Chris?

10 MR. PALABRICA: Yeah, this will be
11 going forward. This is Sayler Palabrica,
12 sorry.

13 CHAIRMAN DANNER: Okay, thank you,
14 Sayler. So, going forward, so with regard to
15 existing pipe, this does not apply?

16 MR. PALABRICA: That's correct.

17 CHAIRMAN DANNER: All right, any
18 follow-up, Sara?

19 MS. GOSMAN: No, that's all I meant
20 to ask.

21 CHAIRMAN DANNER: Okay, thank you.

22 MS. GOSMAN: And Chairman, I think,

1 I don't know. If now is not the time to
2 mention it, soon perhaps, I think I'd like to
3 discuss voting on all of these together versus
4 voting on them independently.

5 CHAIRMAN DANNER: Yeah, I had
6 planned on raising that issue myself. Let's
7 get through the discussion on plastic pipe
8 first if there is any further. Is there any
9 further discussion on plastic pipe?

10 All right, it looks like we're done
11 with the discussion, so, Sara, do you want to
12 raise the procedural issue?

13 MS. GOSMAN: Yes, thank you,
14 Chairman. So, I would like to suggest that we
15 vote independently on the three issues, master
16 meters, MFF reports, and plastic pipe.
17 Alternatively, I would be willing to vote on
18 master meters and plastic pipe together and the
19 MFF reports individually.

20 MR. GALE: Chairman, this is John
21 Gale. We can do that. I think what we'll do
22 is we'll combine, if Mr. Jagger can go ahead

1 and modify this vote slide and take off the MFF
2 reports, and we'll have that vote, and while
3 we're having that vote, we'll develop a slide
4 specific to the MFF report.

5 CHAIRMAN DANNER: So, let me ask
6 though, Sara, your preference is to also break
7 up master meters and plastic pipe so that those
8 are separate votes as well?

9 MS. GOSMAN: So, the person in me
10 who likes clarity would love to break those up,
11 but personally, I don't need them broken up
12 because I plan to vote in favor of both of
13 them.

14 CHAIRMAN DANNER: Okay, unless there
15 are any objections, let's break this into two
16 votes, not three, and I don't see any hands up
17 objecting to that, so it looks like we will --
18 John, let's break this up into two separate
19 votes.

20 MR. GALE: Okay, I think you see in
21 front of you now a revised vote slide specific
22 just to master meters and plastic pipe, and we

1 can move forward with that, and then we'll
2 develop the slide specific to the MFF report to
3 pull up as soon as this is complete.

4 CHAIRMAN DANNER: All right, very
5 good. So, is there someone willing to make a
6 motion? All right, Rich, thank you very much.
7 Go ahead.

8 MR. WORSINGER: The proposed rule as
9 published in the Federal Register and the draft
10 regulatory evaluation with regard to master
11 meter DIMP applicability and plastic pipe are
12 technically feasible, reasonable, cost
13 effective, and practicably if the following
14 changes are made.

15 Regarding plastic pipe, revise the
16 minimum wall thickness tables for plastic pipe
17 to specify 0.099-inch minimum wall thickness
18 for one-inch CTS pipe rather than 0.101-inch,
19 and this is Rich Worsinger with the City of
20 Wilson.

21 CHAIRMAN DANNER: All right, thank
22 you very much. Is there a second? All right,

1 Peter Chace?

2 MR. CHACE: I'll second.

3 CHAIRMAN DANNER: All right, thank
4 you. So, we have a motion and a second, so
5 Cameron, can you record the vote?

6 MR. SATTERTHWAITE: Okay, let me get
7 myself -- sorry, here we go. All right, so
8 we'll do it as before. I'll call your name and
9 if you agree with the language, you can say
10 yes. If you do not agree, you can say no.
11 Diane Burman?

12 MS. BURMAN: Yes.

13 MR. SATTERTHWAITE: Peter Chace?

14 MR. CHACE: Yes.

15 MR. SATTERTHWAITE: David Danner?

16 CHAIRMAN DANNER: Yes.

17 MR. SATTERTHWAITE: Sara Longan?

18 DR. LONGAN: Yes.

19 MR. SATTERTHWAITE: Terry Turpin?

20 MR. TURPIN: Yes.

21 MR. SATTERTHWAITE: Ron Bradley?

22 MR. BRADLEY: Yes.

1 MR. SATTERTHWAITE: Andy Drake?

2 MR. DRAKE: Yes.

3 MR. SATTERTHWAITE: Mary Palkovich?

4 MS. PALKOVICH: Yes.

5 MR. SATTERTHWAITE: Rich Worsinger?

6 MR. WORSINGER: Yes.

7 MR. SATTERTHWAITE: Jon Airey?

8 MR. AIREY: Yes.

9 MR. SATTERTHWAITE: Mark Brownstein?

10 MR. BROWNSTEIN: Yes.

11 MR. SATTERTHWAITE: Sara Gosman?

12 MS. GOSMAN: Yes.

13 MR. SATTERTHWAITE: Robert Hill?

14 MR. HILL: Yes.

15 MR. SATTERTHWAITE: Thank you, Bob.

16 It's unanimous. The motion carries.

17 CHAIRMAN DANNER: All right, thank
18 you very much. Are we ready for our next
19 motion? All right, do I have a volunteer to
20 make the motion? Peter Chace, go ahead. Thank
21 you.

22 MR. CHACE: Yeah, I'll give it a

1 try. I move that the proposed rule as
2 published in the Federal Register and the draft
3 regulatory evaluation with regard to mechanical
4 fitting failure reports are technically
5 feasible, reasonable, cost effective, and
6 practicable.

7 CHAIRMAN DANNER: Thank you, and
8 Sara Longan, will you second?

9 DR. LONGAN: I second. Thank you.

10 CHAIRMAN DANNER: Thank you. All
11 right, so we have a motion before us. Cameron?

12 MR. SATTERTHWAITE: Okay, we will do
13 it as before. I'll say your name, and if you
14 agree with the language, you can say, if not,
15 you can say no. Diane Burman?

16 MS. BURMAN: Yes.

17 MR. SATTERTHWAITE: Peter Chace?

18 MR. CHACE: Yes.

19 MR. SATTERTHWAITE: David Danner?

20 CHAIRMAN DANNER: Yes.

21 MR. SATTERTHWAITE: Sara Longan?

22 DR. LONGAN: Yes.

1 MR. SATTERTHWAITE: Terry Turpin?

2 MR. TURPIN: Yes.

3 MR. SATTERTHWAITE: Ron Bradley?

4 MR. BRADLEY: Yes.

5 MR. SATTERTHWAITE: Andy Drake?

6 MR. DRAKE: Yes.

7 MR. SATTERTHWAITE: Mary Palkovich?

8 MS. PALKOVICH: Yes.

9 MR. SATTERTHWAITE: Rich Worsinger?

10 MR. WORSINGER: Yes.

11 MR. SATTERTHWAITE: Jon Airey?

12 MR. AIREY: Yes.

13 MR. SATTERTHWAITE: Mark Brownstein?

14 MR. BROWNSTEIN: No.

15 MR. SATTERTHWAITE: Sara Gosman?

16 MS. GOSMAN: No.

17 MR. SATTERTHWAITE: Robert Hill?

18 MR. HILL: Yes.

19 MR. SATTERTHWAITE: Okay, the motion
20 carries 11 to two. Thank you.

21 CHAIRMAN DANNER: All right, thank
22 you very much. We're going to move on then to

1 Topic G, Rectifier Remote Monitoring, and Topic
2 H, which is Atmospheric Corrosion. These two
3 are also bundled, and let's just get right into
4 it. So, John, whoever from your team is
5 presenting here, let's move forward.

6 MR. GALE: Sorry, yes, Chairman
7 Danner, actually this is John Gale and I'll be
8 leading the discussion for the next two topics,
9 so let's go ahead and get started on rectifier
10 remote monitoring.

11 A rectifier impresses a direct
12 current onto a pipeline, providing protection
13 from corrosion. Rectifier stations must be
14 inspected six times a year under 192.465 of the
15 pipeline safety regulations. However, it is
16 not clear in the regulations that these
17 inspections may be conducted remotely.

18 However, PHMSA has interpreted the
19 requirement to be technology neutral. In
20 addition, the code does not currently specify
21 what constitutes a rectifier inspection.

22 So, in the proposal, in the NPRM,

1 PHMSA proposed to explicitly permit remote
2 monitoring and clarify that a rectifier
3 inspection consists of recording amperage and
4 voltage readings.

5 For rectifiers being inspected
6 remotely, PHMSA proposed to require the
7 operator physically inspect the device during
8 annual cathodic inspection surveys under
9 192.461(a) to ensure that it has not been
10 damaged. Next slide, please?

11 So, some of the comments we've
12 received on this proposal, the associations,
13 the Pipeline Safety Trust, and many other
14 industry organizations supported allowing
15 rectifier remote monitoring with annual
16 physical inspections.

17 The associations recommend PHMSA
18 adopt an annual physical inspection based on
19 the cathodic protection survey requirements,
20 rather than require inspections exactly when
21 cathodic protection surveys take place.

22 The commenter noted the proposed

1 language could require an operator inspect a
2 rectifier more than once annually if it affects
3 multiple pipeline segments or if CP surveys
4 occur over a few days.

5 NPGA and other supporting entities
6 supported the proposal, but suggested that
7 physical inspection should be required as
8 needed based on rectifier malfunction rather
9 than specifying annual inspections.

10 PHMSA's response, PHMSA agrees to
11 clarify that physical inspection is expected to
12 occur annually, and secondly, not all
13 malfunctions would be readily apparent remotely
14 and an operator has several opportunities to
15 perform a once-annual physical inspection
16 during other maintenance tasks, such as CP
17 surveys. Next slide, please?

18 One individual commenter opposed
19 reducing the reduction of inspection standards
20 and requests and increase of monitoring
21 standards to align with industry practices.

22 PHMSA's response, the proposed rule

1 codifies existing PHMSA interpretations and
2 enforcement guidance of this requirement.
3 Operators are not currently required to
4 physically inspect a rectifier six times
5 annually, but may continue to do so if that is
6 their procedure.

7 Depending on the technology
8 employed, remote monitoring could actually
9 enhance safety by allowing on-demand or real-
10 time evaluation.

11 So, Chairman, that concludes our
12 discussion of the rectifiers. I didn't know if
13 you wanted to ask to see if there's any
14 clarifying questions, or would you prefer I
15 just move on into atmospheric corrosion?

16 CHAIRMAN DANNER: I think we can do
17 this quickly. Are there any clarifying
18 questions? All right, you can go ahead then,
19 John.

20 MR. GALE: All right, very good,
21 atmospheric corrosion. So, the background on
22 atmospheric corrosion, pipeline facilities

1 exposed to the atmosphere, for example,
2 aboveground, in vaults, or indoors, are
3 susceptible to atmospheric corrosion and must
4 be cleaned and suitably coated per 192.479.

5 The rate of atmospheric corrosion
6 varies with environmental conditions such as
7 humidity, pollution, and other factors.

8 All exposed onshore gas pipelines
9 must be inspected for atmospheric corrosion
10 once every three years. If corrosion is found,
11 the operator must protect against the corrosion
12 as described in 192.479.

13 Virtually all distribution service
14 lines include some aboveground components, for
15 example, the riser and the meter sets.

16 Comments on DOT's Notice of
17 Regulatory Reform suggested changes to
18 atmospheric corrosion requirements for
19 distribution pipelines. One suggestion was to
20 extend the inspection interval to five years,
21 consistent with the current required frequency
22 of leakage surveys.

1 One suggestion was to eliminate a
2 specified inspection interval all together, and
3 instead manage atmospheric corrosion under
4 DIMP.

5 Syncing the frequency of atmospheric
6 corrosion assessment with leakage surveys would
7 allow both tasks to be accomplished by a single
8 crew during the same inspection, and PHMSA is
9 not aware of an incident caused by atmospheric
10 corrosion currently on a distribution service
11 line.

12 PHMSA proposed to extend the
13 atmospheric -- so what we ended up proposing
14 was PHMSA proposed to extend the atmospheric
15 corrosion control inspection interval from
16 three calendar years to every five calendar
17 years for distribution service pipelines in
18 accordance with 192.481.

19 However, PHMSA proposed to require
20 assessment within three years if atmospheric
21 corrosion was identified on the previous
22 inspection.

1 PHMSA also proposed to clarify that
2 consideration of corrosion threats under DIMP
3 includes atmospheric corrosion, and that
4 significant atmospheric corrosion threats may
5 require more frequent inspections or other
6 measures to mitigate risk.

7 PHMSA has determined that the low
8 risk of atmospheric corrosion on service lines
9 and safeguards in the proposed rule prevent
10 adverse safety impacts.

11 Distribution mains and other higher-
12 pressure lines are excluded from the proposed
13 change. The rule requires a shorter inspection
14 interval if corrosion is identified, and
15 explicit consideration of atmospheric corrosion
16 under DIMP may require an operator to take
17 additional mitigative measures if there are
18 significant atmospheric corrosion threats.

19 So, some of the comments we received
20 on this proposal, the associations and other
21 industry entities supported a five-year
22 interval on atmospheric corrosion inspections

1 for service lines.

2 The associations and NPGA however,
3 suggested that a shorter three-year interval
4 when corrosion is identified is unnecessary if
5 the facility, or the corrosion that is, is
6 remediated.

7 The associations suggested the
8 following remediation alternative. Paragraph D
9 would read if atmospheric corrosion is found on
10 a service line during the most recent
11 inspection, then operators must repair or
12 replace portions of the service line found to
13 have atmospheric corrosion that could reduce
14 the pipeline's integrity and apply new coating,
15 as necessary, to all affected portions of the
16 service pipeline that are aboveground within 12
17 months of identification of atmospheric
18 corrosion, or meet the requirements of
19 Paragraph C of this section and perform the
20 next inspection of that pipeline or portion of
21 pipeline within three calendar years, with an
22 interval not exceeding 39 months. So,

1 basically it would go back to what was our
2 original proposal, so this would provide an
3 alternative.

4 So, PHMSA's response, PHMSA has
5 safety concerns with replacing a shorter
6 reassessment interval with remediation when
7 atmospheric corrosion has already been
8 identified.

9 Remediation is already required by
10 the existing regulations in 192.481(c) through
11 reference to 192.479. Evidence of corrosion is
12 an indication that a corrosive environment may
13 exist.

14 Any final action must be consistent
15 with public safety and environmental protection
16 in accordance with the pipeline safety laws.

17 PHMSA believes that the enhanced
18 remediation alternative requires further
19 analysis and notice and comment procedures to
20 ensure that is it consistent with these goals.

21 Next slide, please?

22 NPGA and supporting organizations

1 requests clarification on whether the three-
2 year interval when corrosion is identified
3 applies to the whole system or just the
4 location where corrosion was identified.

5 NAPSRS and others suggested a
6 corresponding change to recordkeeping
7 requirements to support the revised inspection
8 interval. Specifically, an operator should
9 retain records for the last two inspections to
10 ensure that their use of the five-year
11 inspection interval is supported.

12 PHMSA's response, the shorter
13 inspection interval would apply to service
14 lines on which the atmospheric corrosion was
15 identified and PHMSA will clarify this in the
16 final rule.

17 PHMSA will also clarify the
18 recordkeeping requirements of this section in
19 192.491(c) based on the comment from NAPSRS to
20 ensure that the operator's inspection interview
21 and inspection results are adequately
22 documented.

1 The Pipeline Safety Trust generally
2 opposes reducing corrosion inspection interval,
3 but recognizes that atmospheric corrosion
4 hasn't been a factor in recent incidents. As a
5 result, they stated that they mildly oppose
6 this change and request more prescriptive
7 corrosion monitoring regulations.

8 NAPSR suggested PHMSA consider an
9 alternative of establishing a shorter interval
10 of three to four years for residential leak
11 survey requirements, and that the atmospheric
12 corrosion and leak surveys can be conducted
13 simultaneously as proposed, so in other words,
14 shorter the leak survey requirement than the
15 atmospheric corrosion, extend the atmospheric
16 corrosion survey requirement.

17 The American Association of
18 Laboratory Accreditation requested a change
19 from a prescriptive inspection interval to a
20 risk-based determination with a maximum
21 interval of five years, not to exceed 63
22 months.

1 PHMSA's response, PHMSA determined
2 that due to the low risk of atmospheric
3 corrosion and the conditions in the proposed
4 rule ensure that the safety of distribution
5 lines is maintained.

6 PHMSA agrees that a prescriptive
7 maximum interval is necessary, but is persuaded
8 that five years is an appropriate maximum
9 interval for atmospheric corrosion surveys for
10 service lines where no active corrosion or
11 atmospheric corrosion threats have been
12 identified.

13 Explicit consideration of
14 atmospheric corrosion under DIMP effectively
15 serves as a risk-based determination not to
16 exceed five years.

17 The associations also requested
18 removing of the term "evaluate" from
19 192.481(a), but PHMSA did not present specific
20 guidance and criteria for the evaluation, and a
21 prescriptive inspect and remediate requirement
22 coupled with explicit considerations through

1 DIMP would meet PHMSA's justification for
2 revising 192.481 and the term "evaluate" is not
3 necessary.

4 PHMSA's response, PHMSA's intent was
5 not to change the content of the inspection
6 itself. PHMSA will consider removing the term
7 "evaluate" consistent with the existing
8 language in 192.481, and as indicated in the
9 comments, operators are required to evaluate
10 corrosion under DIMP.

11 Mr. Chairman, this concludes PHMSA's
12 response to comments on the rectifier remote
13 monitoring proposal and the proposal related to
14 atmospheric corrosion topics.

15 In light of the comments received
16 from the NPRM, PHMSA's recommending the
17 committee consider adopting the proposal with
18 the following changes.

19 Regarding rectifier monitoring,
20 require physical inspection of remotely
21 monitored rectifier stations once each calendar
22 year consistent with required CP surveys rather

1 than exactly when CP surveys occur.

2 And with regard to atmospheric
3 corrosion, remove the term "evaluate"
4 consistent with the existing language in
5 192.481, clarify recordkeeping requirements in
6 192.491(c) to ensure operators retain records
7 necessary to substantiate a five-year
8 inspection interval, but PHMSA does not
9 recommend allowing remediation as an
10 alternative to a shorter inspection interval
11 when corrosion is found.

12 So, with that said, Mr. Chairman,
13 we're ready to accept public comments on these
14 two topics.

15 CHAIRMAN DANNER: All right, first
16 let me see if the committee members have any
17 clarifying questions. Are there any questions
18 for John before we go to the public?

19 All right, now we can go to public
20 comment. Is there anyone on the line who
21 wishes to discuss rectifier remote monitoring
22 or atmospheric corrosion? I am not seeing any

1 hands. Oh, I am now, two. All right, Erin
2 Kurilla?

3 MS. KURILLA: Hi, can you guys hear
4 me okay?

5 CHAIRMAN DANNER: Yes, we can.

6 MS. KURILLA: I'm sorry. I have
7 many things going on and open. I appreciate
8 the opportunity to provide public comment. My
9 name is Erin Kurilla. I am the vice president
10 of operations and safety at the American Public
11 Gas Association.

12 I certainly appreciate PHMSA looking
13 to try to help operators align some of these
14 prescriptive requirements, including aligning
15 atmospheric corrosion with leak surveying.

16 I think it makes all the sense in
17 the world for operators to be able to have one
18 individual duly qualified to do both of these
19 inspections.

20 And I think that it really helps
21 enhance safety by bringing those two
22 prescriptive inspection cycles together and

1 enabling them to focus their efforts there
2 instead of, you know, the management of kind of
3 complicated intertwining, you know, some stuff
4 is on three years and some stuff is on five
5 years.

6 It can get quite confusing and
7 become almost a paperwork exercise instead of
8 an exercise in improving the assets themselves,
9 and for that reason is why the associations
10 provided the "or" option for Part D.

11 It's because we recognize that, hey,
12 if you, for whatever reason, choose not to
13 replace that piece of aboveground piping or
14 fully remove the atmospheric corrosion and coat
15 the piping, then you should come back to that
16 piece of pipe in three years and check on it,
17 but if you fully remediated and removed that
18 atmospheric corrosion, and frankly removed the
19 threat of atmospheric corrosion from that piece
20 of pipe, then there's no reason why you should
21 have to visit it any more frequently than any
22 other piece of pipe on your system.

1 And if the concern is about the
2 spread or, you know, I shouldn't say spread,
3 the reoccurrence or the occurrence of
4 atmospheric corrosion elsewhere on your system,
5 that's where this inspection cycle comes in.
6 You're visiting each of those assets every five
7 years.

8 So, it feels a little bit like the
9 emphasis is being placed on a portion of
10 aboveground piping that has been fully
11 remediated when, in fact, that just became your
12 newest asset on your system, and so I guess it
13 feels like that three-year cycle is not
14 appropriate for especially that asset, not
15 specifically that assets.

16 And then again, if we're starting to
17 manage, if you can imagine a scenario where
18 you've got 100, say, service lines, and three
19 of them have evidence of atmospheric corrosion
20 that you've fully remediated, now you've got 97
21 on five years and three on three years, and
22 you're going to go back to those three, and now

1 you're going to put them back on five years.

2 Well, now they're never going to be
3 on the same five-year cycle as your other ones,
4 so we're back to where we started in the
5 original code language or the existing code
6 language with things on all different cycles
7 and no efficiency being realized.

8 So, that's why I would encourage the
9 committee to consider the "or" option offered
10 by the associations. Thank you.

11 CHAIRMAN DANNER: All right, thank
12 you. Are there any other comments on these
13 topics? All right, I am not seeing any, so I
14 will then go back to the advisory committee.
15 Peter Chace?

16 MR. CHACE: Yeah, I think Erin's
17 comments that she just made were pretty good,
18 and then you throw in the fact that a lot of
19 these distribution operators will look at leak
20 surveys and atmospheric corrosion concurrently,
21 particularly with indoor meters, inside meters,
22 where I think a lot of these less exposed by

1 does.

2 Really, well, first, I believe Erin
3 is right that the five-year versus three-year
4 thing will be an administrative burden to the
5 point that it's simply not worth doing for
6 operators and they'll just stick with the
7 three-year cycle. And honestly, I think
8 that the economic impact of this is probably
9 going to be more close to zero than anything
10 else, but that's all I really had.

11 CHAIRMAN DANNER: All right, thank
12 you. Mark Brownstein?

13 MR. BROWNSTEIN: Yes, thank you. I
14 guess I'm a little confused about the value of
15 synchronization only because, at least to my
16 layperson's understanding, a lot of the leak
17 detection inspection work that goes on is done
18 with, you know, drive-by technology, and it
19 seems to me that the equipment that we're
20 talking about here requires some sort of
21 physical in-person inspection.

22 So, I'm sort of wondering where the,

1 you know, where the labor savings comes from,
2 from a synchronization of these two activities,
3 but I could be wrong. You know, I freely admit
4 I could be wrong on that.

5 I guess my second point is if there
6 is value in synchronization, I guess I would
7 fall into the camp of the NAPSIR comment that
8 maybe the way to synchronize this is to get
9 everything on a three or four-year inspection
10 timeline as opposed to synchronizing everything
11 at five.

12 We do know that as a practical
13 matter, you know, leaks on the distribution
14 system are, you know, considerable, and we
15 probably should be moving to a more frequent,
16 and I know some jurisdictions already have and
17 some utilities already have moved to a more
18 frequent leak detection survey, some even doing
19 it annually.

20 So, if anything, you know, if there
21 is value to synchronization, I think that we
22 should be looking at something that, you know,

1 syncs everything up on a three-year cycle.

2 CHAIRMAN DANNER: All right, thank
3 you. Sara Gosman?

4 MS. GOSMAN: I agree with Mark's
5 points. I also want to raise this issue of
6 taking the term "evaluate" out of the proposed
7 rule.

8 So, I think this is a moment in time
9 in which I think that the focus of the pipeline
10 industry on the worries about compliance and
11 enforcement here is, it's hard to understand
12 because I don't think that the term "evaluate"
13 does anything but reassure folks like me that,
14 in fact, the operators are going to be thinking
15 about the information.

16 And so, and at this point, taking
17 the term "evaluate" out of the proposed rule
18 and putting it into the final rule without
19 "evaluate" sends the opposite message.

20 So, I just think that this is an
21 issue that we should leave the term "evaluate"
22 in, and I feel strongly enough about this, and

1 I think it adds some comfort for me that I am
2 comfortable, not happy, but comfortable with a
3 reduction in inspection intervals here, but I
4 do want the term "evaluate" in. I think it's
5 reassuring.

6 CHAIRMAN DANNER: All right, thank
7 you very much. Ron Bradley?

8 MR. BRADLEY: Thank you, Mr. Chair.
9 This is Ron Bradley from PECO. So, I just want
10 to take a shot at a couple of the comments that
11 I heard.

12 One was regarding the frequency of
13 the move and one was regarding synchronizing,
14 and I will tell you as a utility operator, when
15 we do this task, it is aligned with our service
16 leak survey work.

17 So, I get that in some cases, there
18 is mobile survey where there's different
19 equipment, sometimes RMLD equipment, you know,
20 older school might be flame ionization, and
21 that goes down the street and down the main,
22 but then there's a different activity where we

1 actually have people that walk the services and
2 walk up to the building wall and work their
3 way, if it's an indoor meter, to get inside the
4 house.

5 And so the task for both of those,
6 whether it's an outdoor meter and looking at
7 it, or indoor, is the service leak survey
8 person. So, I would say in most utilities,
9 that's not a separate, so synchronization
10 definitely makes sense.

11 As far as frequency, you know, I
12 heard some discussion about maybe, you know, go
13 the other way and do everything on a three-year
14 cycle. I will tell you that that is the way
15 that some of us went.

16 You know, as we look at our DIMP
17 plans and we try to figure out how to align our
18 process, I'm not a fan of that. I think we're
19 doing work where we found out that on the other
20 hand, we're turning over our infrastructure.

21 And in my case, for example, we have
22 a number of -- we're probably down to about

1 nine percent of our services are bare steel.
2 Ninety one, 92 percent makes up plastic, you
3 know, we have plastic services.

4 And as we put more plastic in, the
5 system gets even tighter and, you know, it
6 encourages us to -- you know, when we find our
7 leaks, it's not on the services. It's on the
8 main that we're taking, you know, that we're
9 working on and we're remediating that as well.

10 So, I would say that our systems get
11 tighter. We're doing the leak survey. We're
12 walking it with services. The five and the
13 three-year made it a real bear to try to stay
14 aligned, so we took the much more expensive
15 tact of going after them on a three-year cycle.
16 I think it's best to go to a five-year cycle.

17 And I will also give you one other
18 set of numbers. Every month, I get an update.
19 Our odor calls this year to date are down 1,300
20 versus last year, so that doesn't put it in any
21 frame.

22 It just shows you that the system is

1 tightening and we're getting less calls for
2 issues because we're putting modern equipment
3 in that, quite frankly, has a much lower leak
4 rate and we're getting ahead of that.

5 So, I don't know if those two things
6 help, but I wanted to offer that.

7 CHAIRMAN DANNER: Thank you. Rich
8 Worsinger?

9 MR. WORSINGER: Hi, this is Rich
10 Worsinger, City of Wilson, North Carolina. I
11 just want to first add a little something to
12 this atmosphere corrosion discussion.

13 When people use the term atmospheric
14 corrosion, I try to remind them what we're
15 talking about is rust. And typically on this
16 atmospheric corrosion, it is some rust on the
17 piping for the meter set.

18 We, too, as Ron Bradley stated they
19 do at PECO, we, too, coordinate our annual leak
20 survey on a three-year basis; we do one-third
21 of the system each year and coordinate the
22 atmospheric corrosion survey the same time.

1 We also have equipment. And Mark
2 brought up a good point, or good concern there,
3 if you're doing a mechanized survey, what is
4 the savings of coordinating these two?

5 But we do them at the same time. We
6 drive the system with mobile leak detection
7 equipment, but then we also walk the system to
8 look at every meter set at each customer's
9 house. And where we find rust, we then prepare
10 a work order and come back, and we sand it and
11 prime it and paint it.

12 And I question the value of going
13 from five years -- I agree with going to five
14 years for the atmospheric corrosion inspection,
15 but if you fully remediate that, I question why
16 would you want to look at that again in three
17 years?

18 We're not finding those issues where
19 we've remediated a meter set, some surface rust
20 on the pipes, and we go back three years later,
21 it hasn't begun rusting again.

22 And also, we are seeing the same

1 thing as our services are replaced. We don't
2 have any bare steel at this point; it's all
3 plastic and protective steel. We don't have
4 very many leaks on the surfaces; we're seeing
5 them on our mains also. Thank you.

6 CHAIRMAN DANNER: All right, thank
7 you. Mary Palkovich?

8 MS. PALKOVICH: Yeah, this is Mary
9 with Consumers. I echo both what Erin said,
10 what Ron said, and then also what Rich said.
11 And then I would add, in addition to supporting
12 the recommendation, is that there are also
13 leakage surveys, like business district and
14 cast iron, that take into account other risk
15 factors. So, I just want to go on record in
16 supporting moving atmospheric corrosion
17 inspections to the five-year interval.

18 CHAIRMAN DANNER: All right, thank
19 you. Rick Worsinger, your hand is up. You want
20 to speak again?

21 MR. WORSINGER: Sorry.

22 CHAIRMAN DANNER: That's all right.

1 I don't see any other hands up. I wanted to go
2 back to what Sara was saying about she's okay
3 with the five-year interval, but she has some
4 problems with other language in the rule.
5 Sara, do you want to restate that? And then I
6 can ask PHMSA for response?

7 MS. GOSMAN: Sure. Thank you
8 Chairman. So, my concern is that PHMSA
9 originally had language in the proposal that
10 included that statement that each operator must
11 inspect and evaluate each pipeline or portion
12 of the pipeline that is exposed to the
13 atmosphere, for evidence of atmospheric
14 corrosion.

15 And because of comments received
16 during the public comment period, is now taking
17 the term evaluate out. And as I said, I think
18 that at the very -- perhaps it's duplicative,
19 but if it's duplicative, I think it's better to
20 have it in there just to make sure that
21 everybody understands.

22 And if it's not duplicative, if it's

1 new, I think it's important to have an
2 evaluation requirement.

3 CHAIRMAN DANNER: All right, do you
4 want respond to that?

5 MR. GALE: Yeah, Mr. Chairman. John
6 Gale here. I'm asking for staff to go ahead
7 and pull up the section of the NPRM so that the
8 members can see the wording in context.

9 While that's happening, regarding
10 leak survey, I would like to remind the members
11 of something that occurred during the valve
12 rule a couple of months ago regarding leak
13 surveys, and it was in association with some
14 comments we've received from, I think it was
15 both NTSB and Pipeline Safety Trust regarding
16 applicability of their proposal related to leak
17 detection and distribution lines.

18 And we had stated in our response to
19 that, that for distribution pipelines, PHMSA
20 will review the existing leakage survey
21 requirements in 192.723, to looking to
22 strengthen those leak survey requirements,

1 e.g., the more frequent surveys, and account
2 for advancement in technology and the
3 associated repair criteria.

4 So, just to be clear, we understand
5 the leakage issues is an important issue, and
6 we're looking at that and we have it on our
7 radar for something to review and consider.

8 So, I just want to make sure the
9 members are aware that we are -- remind them
10 that we talked about during the valve rule, and
11 it is something we're going to be looking at in
12 the future.

13 So, regarding the term evaluate,
14 Sayler, are we seeing the NPRM on the screen?
15 Can you highlight where the use of the term
16 evaluate the Ms. Gosman -- is this --

17 MR. PALABRICA: So, on the left is
18 the NPRM, on the right is the existing
19 language.

20 MR. GALE: Very good, thank you.
21 And could Chris or Sayler, could you address
22 Ms. Gosman's concern?

1 MR. PALABRICA: Yes. So, the
2 commenter has raised issue with the inclusion
3 of the term evaluate here. The intent of the
4 proposed rule wasn't to change the content of
5 the inspection itself. However, as we noted in
6 the slides -- and this is based on the proposal
7 to clarify the consideration of corrosion under
8 DIMP includes atmospheric corrosion -- they are
9 required to evaluate atmospheric corrosion
10 threats under that section. But the intent
11 wasn't to change the content of the inspection
12 under this section.

13 MR. GALE: Very good. Thank you,
14 sir. What you're saying -- and this is John
15 Gale. So, that's why we're seeing this screen
16 to the right, Saylor, is we're seeing what the
17 existing regulation states, where it just says
18 each operator must inspect each pipeline, and
19 it doesn't say inspect and evaluate. Is that
20 correct?

21 MR. PALABRICA: Yes.

22 MR. GALE: Okay, very good. Thank

1 you. Thank you, Mr. Chairman.

2 CHAIRMAN DANNER: All right, thank
3 you. Mark Brownstein?

4 MR. BROWNSTEIN: Yes. So, thank you
5 for that. So, that's a great reminder that
6 leak frequency is on the agenda. And I'll look
7 forward to that, number one, and number two,
8 will expect that all the fans of
9 synchronization today will be fans of
10 synchronization in a couple of years when we
11 get around to addressing the frequency of the
12 leak surveys.

13 MR. GALE: Thank you,
14 Mr. Brownstein.

15 CHAIRMAN DANNER: All right, and are
16 there any other comments on this subject? All
17 right, I would just say -- Mark, did you still
18 have your hand up?

19 MR. BROWNSTEIN: No. Sorry about
20 that.

21 CHAIRMAN DANNER: That's all right.
22 Sara?

1 MS. GOSMAN: I guess I wonder if
2 there are any committee members who are
3 supportive of taking evaluate out. Yes, thank
4 you.

5 CHAIRMAN DANNER: Okay. I'm going
6 to do a quick poll. Rich, do you want to
7 respond? Or do you have another question?

8 MR. WORSINGER: No, I want to
9 respond. Rich Worsinger, Wilson. I agree with
10 Sara. I'm fine leaving the term, and evaluate,
11 in the proposed rulemaking.

12 And I think it's actually what our
13 people do when they go out there. They not
14 only inspect, they're evaluating what needs to
15 be done to remediate it.

16 Is it as I described earlier, where
17 you sand away the rust, prime and paint? Or is
18 it a situation where you're better off
19 replacing a couple of sections of piping?
20 Thank you.

21 CHAIRMAN DANNER: All right, thank
22 you. Andy Drake?

1 MR. DRAKE: This is Andy Drake with
2 Enbridge. I'm just trying to respond to Sara's
3 point. I am in favor of leaving evaluate in
4 there. It is a fundamental part of the
5 activity to determine fitness for service.

6 CHAIRMAN DANNER: All right, thank
7 you. Mary Palkovich?

8 MS. PALKOVICH: No problem with
9 leaving evaluate from my perspective. I think
10 earlier, Sara said that she could go along with
11 the five-year if she had evaluate in there, and
12 I agree with Andy. When they are inspecting,
13 they are evaluating.

14 CHAIRMAN DANNER: All right, and I
15 also think it's important that we leave
16 evaluate in. In the Pacific Northwest, where
17 we had a little problem in British Columbia the
18 winter before last, and we're dealing with
19 14 percent rate increases as a result, I know
20 it was a different kind of pipe, but
21 nonetheless atmospheric corrosion was a factor.
22 And so it gives me chills when I hear the term.

1 I'm less interested in
2 synchronization than I am in safety, but I
3 think we've got a result here, I think, that
4 doesn't jeopardize safety or doesn't compromise
5 it. So, I'm okay with the term evaluate in it.

6 So, with that, we're going to do
7 these two votes together, G and H. We have the
8 proposal in front of us. Is there a volunteer
9 to make a motion? Ron Bradley, thank you.

10 MR. BRADLEY: Yes, thank you chair.
11 This is Ron Bradley from PECO. I'd like to
12 make a motion for the committee that the
13 proposed rule, as published in the Federal
14 Register, and the draft regulatory evaluation,
15 with regard to remote monitoring of rectifiers
16 and atmospheric corrosion, are technically
17 feasible, reasonable, cost-effective, and
18 practicable, if the following changes are made.

19 Regarding rectifier monitoring,
20 require physical inspections of rectifier
21 stations once each calendar year, consistent
22 with required CP surveys, rather than exactly

1 when CP surveys occur.

2 Regarding atmospheric corrosion,
3 revise Code 192.491(C) to require operators
4 retain records of the last two atmospheric
5 corrosion inspections.

6 CHAIRMAN DANNER: And is there a
7 second?

8 Mark Brownstein?

9 MR. BROWNSTEIN: No, I'm not
10 actually raising my hand to second. I'm
11 suggesting maybe we want to split this vote. I
12 personally don't have a problem with what's
13 being proposed for rectifiers, but for the
14 reasons I stated earlier, I going to oppose the
15 atmospheric corrosion piece.

16 CHAIRMAN DANNER: All right. So, in
17 that case, Ron Bradley, would you be willing to
18 withdraw the motion so that we can split it up?

19 MR. BRADLEY: Ron Bradley.
20 Actually, I have to withdraw the motion. I
21 think it's great timing. I think something's
22 missing. So, yes, I'm going to withdraw the

1 motion.

2 CHAIRMAN DANNER: All right. So,
3 you have some language that you want to add
4 when we split it up?

5 MR. BRADLEY: I thought the -- I
6 don't know if the five years was going to be in
7 there, or if it's a given. I just don't see
8 the five years in there.

9 CHAIRMAN DANNER: Oh, okay. But
10 we're doing the proposed rule with these
11 changes. So, the five years is in the original
12 and not changed.

13 MR. BRADLEY: Okay, got it. I pull
14 my motion back. Yes.

15 CHAIRMAN DANNER: Okay, thank you
16 very much. And John, can I have your team
17 break this up and we'll --

18 MR. GALE: Yes, this is John Gale.
19 Yes, Chairman, I think we're in the process of
20 doing that right now.

21 CHAIRMAN DANNER: All right. Okay,
22 I think we've got a rectifier motion in front

1 of us. Ron, do you want to take that one?

2 Ron Bradley?

3 MR. BRADLEY: Absolutely. Thank
4 you. Okay, so I'd like to make a motion for
5 the committee regarding the proposed rule, as
6 published in the Federal Register, and the
7 draft regulatory evaluation, with regard to
8 remote monitoring of rectifiers, are
9 technically feasible, reasonable, cost-
10 effective, and practicable, if the following
11 change is made.

12 Regarding rectifier monitoring,
13 require physical inspections of rectifier
14 stations once each calendar year, consistent
15 with required CP surveys, rather than exactly
16 when CP static protection surveys occur.

17 CHAIRMAN DANNER: All right, thank
18 you. Is there a second? Okay, Rich Worsinger?

19 MR. WORSINGER: Rich Worsinger,
20 Wilson, North Carolina. I'll second.

21 CHAIRMAN DANNER: All right, thank
22 you very much. We have a motion before us.

1 Cameron, can you take the vote and record?

2 MR. SATTERTHWAITE: Okay. All
3 right, I'll call your name. If you agree, you
4 can say yes. If not, you can say no. Diane
5 Burman?

6 (No audible response.)

7 MR. SATTERTHWAITE: Peter Chace?

8 MR. CHACE: Yes.

9 MR. SATTERTHWAITE: David Danner?

10 CHAIRMAN DANNER: Yes.

11 MR. SATTERTHWAITE: Sara Longan?

12 DR. LONGAN: Yes.

13 MR. SATTERTHWAITE: Terry Turpin?

14 MR. TURPIN: Yes.

15 MR. SATTERTHWAITE: Ron Bradley?

16 MR. BRADLEY: Yes.

17 MR. SATTERTHWAITE: Andy Drake?

18 MR. DRAKE: Yes.

19 MR. SATTERTHWAITE: Mary Palkovich?

20 MS. PALKOVICH: Yes.

21 MR. SATTERTHWAITE: Rich Worsinger?

22 MR. WORSINGER: Yes.

1 MR. SATTERTHWAITE: Jonathan Airey?

2 MR. AIREY: Yes.

3 MR. SATTERTHWAITE: Mark Brownstein?

4 MR. BROWNSTEIN: Yes.

5 MR. SATTERTHWAITE: Sara Gosman?

6 MS. GOSMAN: Yes.

7 MR. SATTERTHWAITE: Robert Hill.

8 MR. HILL: Yes.

9 MR. SATTERTHWAITE: And Diane

10 Burman? Just double-check that.

11 (No audible response.)

12 MR. SATTERTHWAITE: Okay, it is

13 unanimous. The motion carrier.

14 CHAIRMAN DANNER: All right, thank

15 you. I believe Commissioner Burman said she

16 had to step out this afternoon for a few

17 minutes.

18 All right, now we have before us the

19 motion on atmospheric corrosion. Is there a

20 volunteer to make a motion? Mary Palkovich,

21 thank you.

22 MS. PALKOVICH: Before I make the

1 motion, just could you clarify one more time,
2 and I know you said it a minute or two ago,
3 where in this change it moves the atmospheric
4 corrosion periodic interval from three years to
5 five years?

6 CHAIRMAN DANNER: John, do you want
7 to state that? It's my understanding that what
8 we have before us is a motion to adopt the rule
9 that was proposed, that was published in the
10 Federal Register, and (audio interference).

11 MR. GALE: Yes. So, just to be
12 clear, members, so what we're recommending in
13 this vote language is, like Chairman Danner
14 said, is to adopt what we proposed, which was
15 move from three years to five years, unless
16 atmospheric corrosion is identified, and then
17 you'd move back to three --

18 MS. PALKOVICH: Okay, John, you got
19 cut off a little bit --

20 MR. GALE: -- recommendation from
21 commenters. Though it does not include the
22 recommendation from commenters to allow to

1 retain the five-year inspection interval if you
2 remediate the corrosion. It does not include
3 that currently.

4 MS. PALKOVICH: And this is Mary. I
5 thought we kind of agreed we were going to add
6 the language that if it was remediated, that it
7 goes to five years.

8 MR. GALE: Okay. Well, we'll add
9 that bullet there. So, Mr. Jagger, if you can
10 go ahead and add that bullet if that's what's
11 recommended by the committee, we'll add that
12 bullet under here.

13 CHAIRMAN DANNER: Well, let's make
14 sure that that's what our understanding is with
15 the committee members again. Is that your
16 understanding? Sara Gosman, you have your hand
17 up?

18 MS. GOSMAN: Yes. We had a good
19 discussion about this, but that was not my
20 understanding of where we ended up, and I
21 afraid I can't support that.

22 CHAIRMAN DANNER: And that is my

1 understanding as well, and I also would have
2 problems with that. Anyway, that's my own
3 view. Richard Worsinger?

4 MR. WORSINGER: Rich Worsinger, City
5 of Wilson. I also feel very strongly that if
6 we've remediate the atmospheric corrosion, that
7 that should continue in the five-year
8 inspection period.

9 CHAIRMAN DANNER: Ron Bradley?

10 MR. BRADLEY: Yes, thank you. Ron
11 Bradley from PECO. Yeah, I'll tell you where I
12 connected it. When we had the conversation
13 about the word "evaluate," as far as when we
14 get up to the scene and we see that's going on,
15 we make an evaluation on whether or not we, as
16 Rich said, wire-brush it, paint it, clean it
17 up, or, this thing's too far gone, we need to
18 put a new piece in or a new component, that
19 we've actually remediated completely the
20 situation.

21 You could argue the atmosphere, you
22 know, could be the issue. But, in many cases,

1 these things, they're outside and they're just
2 in the environment. Or if they're inside in
3 the basement, it's not that they're in a very
4 corrosive environment.

5 So I think that the "evaluate"
6 triggers us to the step where we actually
7 remediate completely, or mitigate completely,
8 and then come back in the five-year cycle.
9 That's where I felt we got there.

10 CHAIRMAN DANNER: All right. Sara?

11 MS. GOSMAN: Ron, I appreciate that.
12 I mean, my view of the term evaluate really
13 came from giving me comfort with the initial
14 expansion of the interval. And also my concern
15 that taking it out at this point sends a
16 message about what we want operators to do.

17 I think that, for me, it's an extra
18 layer of safety, the three years. And while I
19 certainly understand the comments made during
20 the public comment period, as well as the
21 comments you have made about why you think that
22 you could go to five years with remediation, I

1 think for me it's about -- I'm already
2 concerned about going to five years, frankly.

3 And the three years gives me some
4 comfort that if you find something -- and yes,
5 you evaluate it, right -- that you will be back
6 sooner, in essence creating the same interval
7 that we have now, in order to make sure
8 everything's okay. So, that's why I'm at the
9 position I am.

10 CHAIRMAN DANNER: All right, thank
11 you. Andy Drake?

12 MR. DRAKE: This is Andy Drake with
13 Enbridge. I would like to kind of come back to
14 a term that we've seen weaving around a lot of
15 different potential definitions. And that is
16 the term "remediation." I mean, if remediation
17 were -- and I think when Rich was talking, it
18 sounded like "replaced." I mean, if you
19 replace it, it's new. And, I mean, that's
20 pretty compelling. That service may have been
21 in place for 20 years, you've identified an
22 issue and you've replaced it, but I'd like some

1 thoughts, or maybe a little expanded thought,
2 around what do others here define remediation
3 to be?

4 If it's wire-brush it and paint it,
5 well, that's a lot different. So, I'd just
6 like maybe a little more color on that.

7 CHAIRMAN DANNER: All right, anybody
8 care to take that one on? Mary Palkovich?

9 MS. PALKOVICH: Yeah, I would say
10 that when you find atmospheric corrosion, the
11 operating procedures are that you remove the
12 atmospheric corrosion and you leave the pipe as
13 though it's new.

14 I mean, I could dig out my operating
15 procedure here, but you're coding it and you're
16 following current 2020 practices for
17 remediating the corrosion, and it's like brand
18 new when you leave.

19 You've either replaced the pipe or
20 you've completely removed the corrosion and
21 added a protective coating to it.

22 So, it's like brand new when you

1 walk away. That's why I'm in support of once
2 you've remediated it, you can go to the five-
3 year cycle, because you've enhanced the safety
4 of the pipe.

5 CHAIRMAN DANNER: All right, Richard
6 Worsinger.

7 MR. WORSINGER: Rich Worsinger,
8 Wilson. Quite frankly, I see very little
9 difference between how the building of a meter
10 set and when you find atmospheric corrosion are
11 treated.

12 When you build a new meter set,
13 you're taking some brand new sections of pipe
14 and fittings. You're cutting them, cutting
15 threads on them, assembling them. You're
16 priming them and painting them.

17 And you don't go back and inspect
18 that again until three years later, when you're
19 doing your atmospheric corrosion inspection.

20 And I would say it's very rare that
21 you find any atmospheric corrosion on a brand
22 new meter set three year later.

1 When you do find atmospheric
2 corrosion, i.e., rust, you wire-brush it, sand
3 it, prime it, paint it, the same as you're
4 doing with a brand new meter set. And it lasts
5 for many, many years, until you start to see a
6 little bit of rust. Usually it happens at the
7 threads where a nipple is going into a fitting.

8 And you get in there, you wire-brush
9 it, sand it, prime it and paint it, and you're
10 good for another many, many years.

11 And I just don't see the value of
12 going back three years later, when atmospheric
13 corrosion has been found and remediated, is any
14 different than a brand new meter set.

15 CHAIRMAN DANNER: All right, thank
16 you. Is there any more discussion on this
17 point? All right, we have a motion in front of
18 us, which it has been suggested that we clarify
19 in this motion that if it has been remediated,
20 then we're back on a five-year cycle.

21 Is it the preference of the
22 committee that we entertain that motion, or the

1 motion that is currently before us? Mary
2 Palkovich?

3 MS. PALKOVICH: I would like to add
4 a bullet that says once it's remediated with
5 the -- atmospheric corrosion is found,
6 evaluated and remediated, then that particular
7 asset can go to the five-year cycle. And then
8 I'd like us to take a vote on that.

9 CHAIRMAN DANNER: All right. Sara
10 Gosman?

11 MS. GOSMAN: I'm going to suggest
12 something a bit perhaps out of the ordinary.
13 But I wonder if we could take two votes here,
14 one on the language with the one bullet point,
15 and the other one on the other.

16 That is, we're providing
17 recommendations to PHMSA for it to consider,
18 and it may be that some members support both of
19 these things, they might support one, they
20 might support neither. But I think that would
21 be helpful information for the agency to know.

22 CHAIRMAN DANNER: So, you wouldn't

1 see that as having two inconsistent motions?

2 MS. GOSMAN: No, because I think
3 they can nest within each other. That is --

4 CHAIRMAN DANNER: So, explain again.
5 What is your intention? You would take the
6 bullet that has just been proposed by Mary, and
7 you would hold that back for a second motion?

8 MS. GOSMAN: Yes.

9 CHAIRMAN DANNER: Mary, how would
10 you respond to that?

11 MS. PALKOVICH: I don't think it
12 seems right to vote on two different options.
13 I think we should put in the language and take
14 a vote.

15 CHAIRMAN DANNER: Well, the way I
16 see it, my prediction would be that if we did
17 break it up, that you would have something
18 close to unanimity on the first, and the
19 majority, with some dissent, on the second.

20 But that's the outcome I would see,
21 where if we had it combined, you would not have
22 that unanimity. You would just have some no-

1 votes on the motion as a whole. Alan, did you
2 want to speak up?

3 MR. MAYBERRY: Yeah. I just had a
4 thought for the committee to consider. Was
5 considering Mary's provision there, which if
6 it's remediated, and also not subject to
7 systemic or corrosive environment.

8 I know there might be some
9 environments by the seashore, where you may
10 want to do -- but I don't know if that would
11 add any clarity or help Sara, if it would help
12 you all get to at least a common place on this
13 one.

14 CHAIRMAN DANNER: Rich Worsinger?

15 MR. WORSINGER: Rich Worsinger,
16 Wilson. I was going to add a similar comment
17 to what Alan has there. Prior employment, I
18 worked at a location that was along the
19 Atlantic Ocean, and it was before DIMP.

20 But we did inspections more
21 frequently because it was a much more corrosive
22 location. Mr. Chairman, probably like what you

1 could have up in the Northwest.

2 And I would be supportive of having
3 some verbiage in there that just said, unless
4 there are other mitigating factors that would
5 require more frequent inspections. But of
6 course, that's where DIMP should already be
7 taken into account through DIMP.

8 And I guess with regards to Sara's
9 suggestion, I think that's interesting, but I'd
10 have to ask Alan if that would be the
11 preference of PHMSA to have two
12 recommendations.

13 MR. MAYBERRY: So, there's some
14 debate here. But I'd really prefer one
15 recommendation. Or, let me back up. Let's try
16 this. Let's try two votes on this.

17 CHAIRMAN DANNER: So again, the
18 outcome is that you may have unanimity on the
19 first and there'll be dissent on the second.
20 If we combine it, then we don't have unanimity,
21 and does that matter?

22 MR. MAYBERRY: Yes.

1 CHAIRMAN DANNER: So, but I do have
2 a question, Alan. When you're talking about
3 those areas where you're more likely to have
4 corrosion, how are you defining those? And how
5 would that be determined?

6 MR. MAYBERRY: Well, it's where you
7 have atmospheric corrosion. And so, it was
8 described as rust. They should do the surveys,
9 the visual indication, as you have corrosion on
10 the riser, corrosion at the fittings, and
11 something that needs to be remediated.

12 CHAIRMAN DANNER: Yeah, I thought
13 there was a suggestion that we say in areas
14 where you're more likely to find corrosion.
15 How is that --

16 MR. MAYBERRY: I'm sorry. Well,
17 right. I was really teeing up that an area of
18 high corrosivity, with systemic atmospheric
19 corrosion prevalence, a prevalence of
20 atmospheric corrosion, or a history, due to the
21 environment or other specific factors, that
22 would be required to go with the three-year

1 interval.

2 CHAIRMAN DANNER: So, Mary, I know
3 you've got your hand up. I just wanted to go
4 back to Sara. The idea of putting in Rich's
5 second bullet, would that be okay with you? Or
6 would you prefer two votes?

7 MS. GOSMAN: Chairman, did you mean
8 Alan's -- I'm not sure who was speaking lastly.

9 CHAIRMAN DANNER: Well, both Alan
10 and Rich, I think, suggested that we state in
11 the areas where you're likely to have
12 corrosion, that we would create that as kind of
13 an exception to the three-year cycle, after
14 remediation has been completed.

15 MS. GOSMAN: And I appreciate that
16 as a compromise here. I think part of my
17 concern is that we're moving from a very
18 specific requirement of an interval, to one
19 that now we're putting it in the judgment of
20 the operator.

21 And I'll say again that I think that
22 the folks on this committee I trust and think

1 are terrific operators. I'm really thinking
2 about the entire industry here, and the ones
3 that may not be quite as trustworthy.

4 And so, any time we give more
5 discretion in that way, I think I'm just not as
6 sure that we're going to end up in the same
7 place. So, if this is an ultimate
8 determination made by the operator, I think
9 that that really, to me, is no different than
10 what we're already doing in DIMP, and it
11 doesn't give me that extra safety comfort of
12 the specific interval. But I do again
13 appreciate the compromise.

14 I will just say that I think in
15 terms of the votes, I think there can be
16 multiple ways that a proposal can be
17 technically feasible, reasonable, cost-
18 effective and practical.

19 And so, while ideally the committee
20 would come to consensus on one, and that would
21 obviously most helpful to the agency, I think
22 that it is also helpful to the agency to know

1 that at some minimum level everybody agrees,
2 and then there are people who agree that also
3 with an additional, in this case actually
4 extending the cycle, that that is also
5 technically feasible, reasonable, cost-
6 effective and practicable, which I do not.

7 CHAIRMAN DANNER: All right, thank
8 you. So, I don't know if this is something
9 that as Chair I can kind of make an executive
10 decision on.

11 But unless there is strong
12 opposition, what I suggest is we entertain the
13 motion with just the first bullet, and then we
14 would take a second motion with the same
15 preamble and the second bullet.

16 So, we'll take two votes. I think
17 we can get those done quickly, and that will
18 give the agency a good idea of where the
19 committee stands.

20 So, if you're okay with that, Alan,
21 I think that that's the way I would like to
22 proceed.

1 MR. MAYBERRY: That works for me
2 Chairman.

3 CHAIRMAN DANNER: Okay. So, Mary
4 has made a -- let's see. Well, actually I
5 think Mary, once again you're going to have to
6 withdraw the motion. Then, we're going to have
7 to re-read this one. And then we'll do the
8 next one. Or do you want someone else to make
9 this motion?

10 MS. PALKOVICH: Yeah, I didn't make
11 a motion. And I'm not going to make this
12 motion.

13 CHAIRMAN DANNER: All right. Is
14 there a volunteer to make this motion? All
15 right, Sara? Sara Gosman, I think you're on
16 mute.

17 MS. GOSMAN: I apologize. The
18 proposed rule, as published in the Federal
19 Register, and the draft regulatory evaluation
20 with regard to atmospheric corrosion, is
21 technically feasible, reasonable, cost-
22 effective and practicable if the following

1 change is made.

2 Revise Section 192.491(c) to require
3 operators to obtain records of the last two
4 atmospheric corrosion inspections.

5 CHAIRMAN DANNER: All right, is
6 there a second? Andy Drake?

7 MR. DRAKE: This is Andy Drake with
8 Enbridge. I'll second that motion.

9 CHAIRMAN DANNER: All right. So, we
10 have a motion before us. Cameron, will you
11 take the roll on this one?

12 MR. SATTERTHWAITE: Okay. If you
13 agree with the language, say yes. If you do
14 not agree, you say no. Diane Burman? She
15 hasn't gotten in yet. Peter Chace?

16 MR. CHACE: I vote no.

17 MR. SATTERTHWAITE: David Danner?

18 CHAIRMAN DANNER: I vote yes.

19 MR. SATTERTHWAITE: Sara Longan?

20 DR. LONGAN: Yes.

21 MR. SATTERTHWAITE: Terry Turpin?

22 MR. TURPIN: Yes.

1 MR. SATTERTHWAITE: Ron Bradley?

2 MR. BRADLEY: I vote no.

3 MR. SATTERTHWAITE: Andy Drake?

4 MR. DRAKE: Yes.

5 MR. SATTERTHWAITE: Mary Palkovich?

6 MS. PALKOVICH: No.

7 MR. SATTERTHWAITE: Rich Worsinger?

8 MR. WORSINGER: No.

9 MR. SATTERTHWAITE: Jonathan Airey?

10 MR. AIREY: Yes.

11 MR. SATTERTHWAITE: Mark Brownstein?

12 MR. BROWNSTEIN: No.

13 MR. SATTERTHWAITE: Sara Gosman?

14 MS. GOSMAN: Yes.

15 MR. SATTERTHWAITE: The motion
16 passes seven to five.

17 CHAIRMAN DANNER: All right. So,
18 let's have the preamble and the second bullet
19 put up for our consideration. Is there a
20 volunteer to make the motion here? Mary?

21 MS. PALKOVICH: The proposed rule,
22 as published in the Federal Register, and the

1 draft regulatory evaluation with regard to
2 atmospheric corrosion, are technically
3 feasible, reasonable, cost-effective and
4 practicable, if the following change is made.

5 If atmospheric corrosion is found,
6 evaluated and remediated following an
7 inspection, and there is no evidence of
8 systemic atmospheric corrosion due to the
9 environment or similar factors, the operator
10 can inspect for atmospheric corrosion on a
11 five-year cycle, rather than the proposed
12 three-year cycle.

13 CHAIRMAN DANNER: Thank you. And a
14 second? Richard Worsinger?

15 MR. WORSINGER: I actually had a
16 clarification first. Does this recommended
17 change also include the first bullet from the
18 last vote?

19 CHAIRMAN DANNER: No. The first one
20 is done, so that one is already included. So,
21 this one simply adds the second bullet to the
22 first bullet from the first vote.

1 MR. WORSINGER: In that case, I'll
2 second this motion.

3 CHAIRMAN DANNER: All right. So,
4 Cameron, can we proceed?

5 MR. SATTERTHWAITE: Okay. Peter
6 Chace?

7 MR. CHACE: Yes.

8 MR. SATTERTHWAITE: David Danner?

9 CHAIRMAN DANNER: Yes.

10 MR. SATTERTHWAITE: Sara Longan?

11 DR. LONGAN: Yes.

12 MR. SATTERTHWAITE: Terry Turpin?

13 MR. TURPIN: Yes.

14 MR. SATTERTHWAITE: Ron Bradley?

15 MR. BRADLEY: Yes.

16 MR. SATTERTHWAITE: Andy Drake?

17 MR. DRAKE: Yes.

18 MR. SATTERTHWAITE: Mary Palkovich?

19 MS. PALKOVICH: Yes.

20 MR. SATTERTHWAITE: Rich Worsinger?

21 MR. WORSINGER: Yes.

22 MR. SATTERTHWAITE: Jonathan Airey?

1 MR. AIREY: Yes.

2 MR. SATTERTHWAITE: Mark Brownstein?

3 MR. BROWNSTEIN: No.

4 MR. SATTERTHWAITE: Sara Gosman?

5 MS. GOSMAN: No.

6 MR. SATTERTHWAITE: Robert Hill?

7 MR. HILL: Yes.

8 MR. SATTERTHWAITE: The motion
9 carries ten to two.

10 CHAIRMAN DANNER: All right, thank
11 you. So now, let's move on. It is 2:25
12 Pacific time. I know it's much later out
13 there. We have welding and pre-testing short
14 segments still to go. Shall we carry on?

15 MR. GALE: Yes, Chairman, we should.
16 And we'll pile into it.

17 CHAIRMAN DANNER: Fine. Go right
18 ahead.

19 MR. PALABRICA: Okay. So, the first
20 amendment is with respect to the welding
21 process requirement in 192.229(b). The
22 background for this is the Gas Piping

1 Technology Committee petition to extend the
2 interval for remaining engaged in the welding
3 process from six months to at least twice each
4 calendar year, not to exceed seven-and-a-half
5 months, unlike the process requirement, which
6 is the subject of this proposed rule, of their
7 welder requalification requirements, use a
8 flexible calendar year format.

9 However, since this does not,
10 sometimes it limits operators to doing it both
11 on the six-month interval.

12 So, therefore, PHMSA proposed to
13 extend the interval for remaining engaged in a
14 welding process to seven-and-a-half months.

15 PHMSA received no specific comments
16 submitted in opposition to this amendment.
17 Many industry commenters supported this item
18 without additional comment, and the Pipeline
19 Safety Trust responded with no comment on this
20 item. And PHMSA appreciates the feedback on
21 the proposed rule.

22 The next topic is pre-testing short

1 segments of pipe and fabricated assemblies.
2 Generally, pipeline facilities must be
3 pressure-tested after installation.

4 If a post-installation test isn't
5 practicable, certain components may be tested
6 pre-installation. Section 192.503(e) permits
7 pre-installation testing of individual
8 components, but excludes short segments of pipe
9 and fabricated assemblies.

10 Section 192.505(d) permits pre-
11 testing short segments of pipe and fabricated
12 units on steel pipelines operating at a hoop
13 stress of 30 percent or more.

14 However, there is no similar
15 allowance for fabricated assemblies in short
16 segments of pipe for lower stress lines,
17 despite relatively lower risks, and they're
18 limited to the general 192.503(e).

19 Therefore, PHMSA proposed to extend
20 the allowance for pre-tested pipe and
21 assemblies to steel pipelines operating at an
22 MAOP producing a hoop stress less than

1 30 percent of SMYS, but above 100 psig, which
2 is the scope of 192.507.

3 The associations and many other
4 industry entities generally supported PHMSA's
5 proposal with the following suggestions. First
6 was extending the requirement to allow pre-
7 tested short segments of pipe and fabricated
8 units to pipelines operating below 100 psi in
9 192.509.

10 And second, extend the requirement
11 to short segments of pipe, and basically extend
12 it to service lines and plastic pipelines under
13 192.511 and 513.

14 Other industry commenters and NAPSRS
15 stated support of this item without additional
16 comment, and the Pipeline Safety Trust did not
17 object to extending this allowance as proposed.

18 National Fuel estimated cost savings
19 of approximately \$8.8 million if the pre-
20 testing allowance was extended to those lower
21 pressure pipelines, based on estimated cost
22 savings for repairs done due to excavation

1 damage-related leaks.

2 PHMSA's response to these comments
3 is that it's not necessarily straightforward to
4 extend pre-testing allowances to other
5 categories of pipelines, and this generally
6 covers distribution lines for those low-
7 pressure pipe and service lines and plastic
8 pipe, due to the proximity to customers and the
9 differences in design construction, inspection
10 and testing requirements for such facilities,
11 compared with higher pressure lines.

12 Therefore, PHMSA has determined that
13 extending the pre-testing requirement below
14 100 psi, plastic pipe and service lines
15 requires additional analysis, and notice and
16 comment procedures.

17 The associations and other industry
18 entities suggested removing or revising the
19 term hydrostatic from the proposed 192.507(d),
20 because natural gas, inert gas and air are
21 allowable test media for pipelines operating at
22 a hoop stress less than 30 percent of SMYS

1 under that section.

2 And PHMSA agrees with these comments
3 to remove the term "hydrostatic" from the
4 proposed 192.507(d), since that section allows
5 pressure tests with materials other than water.

6 This concludes PHMSA's response to
7 comments on the welding process requirement and
8 pre-testing topics. In light of the comments
9 received from the NPRM, PHMSA recommends the
10 committee adopt the proposal, with the
11 following changes.

12 Regarding the welding process
13 requirement, no changes to the NPRM are
14 recommended. And with regard to pre-testing,
15 PHMSA recommends removing the term hydrostatic
16 from the proposed 192.507(d).

17 However, PHMSA does not recommend
18 extending the proposed pre-testing allowance
19 beyond 192.507 in this final rule. However,
20 PHMSA may consider this issue in a future
21 rulemaking action.

22 CHAIRMAN DANNER: All right, thank

1 you. Are there any clarifying questions from
2 committee members? All right, seeing none,
3 let's go to public comments. Are there any
4 public comments on welding process requirements
5 for pre-testing short segments?

6 All right, I am seeing no public
7 comments. Committee members, are there any
8 comments that you would like to share?

9 I am seeing none, so I think that
10 means that we can go right into a motion. Is
11 there a volunteer to make this motion? Richard
12 Worsinger. Thank you.

13 MR. WORSINGER: Rich Worsinger,
14 Wilson. The proposed rule, as published in the
15 Federal Register, and the draft regulatory
16 evaluation with regard to the welding process
17 requirement and pre-testing short segments of
18 pipe and fabricated units, are technically
19 feasible, reasonable, cost-effective and
20 practicable, if the following changes are made.

21 Regarding pre-testing, remove the
22 word hydrostatic from proposed 192.507(d).

1 CHAIRMAN DANNER: All right, thank
2 you. Is there a second? Robert Hill?

3 MR. HILL: Robert hill will second
4 that motion.

5 CHAIRMAN DANNER: All right, thank
6 you very much. We have a motion before us.
7 Cameron, would you like to take roll, please?
8 Cameron, are you there? You want to count the
9 votes?

10 MR. SATTERTHWAITE: Sorry, I have
11 two mute buttons on my side. Okay, let me go
12 back. All right, Peter Chace?

13 MR. CHACE: Yes.

14 MR. SATTERTHWAITE: David Danner?

15 CHAIRMAN DANNER: Yes.

16 MR. SATTERTHWAITE: Sara Longan?

17 DR. LONGAN: Yes.

18 MR. SATTERTHWAITE: Terry Turpin?

19 MR. TURPIN: Yes.

20 MR. SATTERTHWAITE: Diane Burman?
21 Okay, we should be trying to get her back on.
22 Ron Bradley?

1 MR. BRADLEY: Yes.

2 MR. SATTERTHWAITE: Andy Drake?

3 MR. DRAKE: Yes.

4 MR. SATTERTHWAITE: Mary Palkovich?

5 MS. PALKOVICH: Yes.

6 MR. SATTERTHWAITE: Rich Worsinger?

7 MR. WORSINGER: Yes.

8 MR. SATTERTHWAITE: Jonathan Airey?

9 MR. AIREY: Yes.

10 MR. SATTERTHWAITE: Mark Brownstein?

11 MR. BROWNSTEIN: Yes.

12 MR. SATTERTHWAITE: Sara Gosman?

13 MS. GOSMAN: Yes.

14 MR. SATTERTHWAITE: Robert Hill?

15 MR. HILL: Yes.

16 MR. SATTERTHWAITE: Unanimous. The
17 motion carries.

18 CHAIRMAN DANNER: All right, thank
19 you very much. I believe that takes us to the
20 end of our work today. And so I'm going to
21 turn it back over to Alan, and see if there are
22 any remarks he makes before we formally adjourn

1 the meeting.

2 MR. MAYBERRY: Mr. Chairman, I'll
3 turn it over to Mr. Gale here for a quick bit
4 and I'll come back to you. Thanks. Go ahead,
5 John.

6 MR. GALE: Yeah, thank you Alan.
7 Thank you Chairman. Again, this is John Gale.
8 Chairman, we actually do have one more vote to
9 take.

10 As you may recall during our
11 November 2019 meeting, PHMSA's chief counsel,
12 Paul Roberti, made a recommendation that at all
13 future meetings the committee make a motion
14 stating that the meeting transcript and voting
15 slide represent the group's report, as required
16 by 49 USC 60115.

17 The committee's voting slides can
18 name the language that the committee agrees is
19 necessary, to include or change on the proposed
20 safety standard in a brief format, the
21 transcript is the full verbatim record of the
22 meeting, and together we believe these

1 documents form a comprehensive report out of
2 what was discussed at each meeting.

3 Going forward, at the end of the
4 committee's deliberation on each proposed
5 safety standard, we recommend the committee
6 make the following motion: to submit the
7 voting slides, along with the transcript, to
8 the Secretary as a report required by the
9 statutory provisions that apply to this
10 committee.

11 So, Chairman, if there is a motion
12 to put for this vote, we'll take another roll
13 call.

14 CHAIRMAN DANNER: All right, thank
15 you very much. Yes, I missed this very
16 important vote. So, looks like Rich Worsinger
17 is willing to make the motion. Go ahead.

18 MR. WORSINGER: Yes, Rich Worsinger,
19 Wilson. A transcript of this meeting, duly
20 recorded and accurately transcribed, together
21 with the presentations slides documenting the
22 committee's votes during this meeting,

1 represent the report of this proceeding.

2 CHAIRMAN DANNER: And is there a
3 second? Sara Longan?

4 DR. LONGAN: I second. Thank you.

5 CHAIRMAN DANNER: Great. Thank you.

6 All right, Cameron, count the votes one more
7 time today.

8 MR. SATTERTHWAITE: All righty, here
9 we go. We'll go right through. I'm going to
10 go past Diane Burman. I think she lost power.
11 We'll go straight to Peter Chace?

12 MR. CHACE: Yes.

13 MR. SATTERTHWAITE: David Danner?

14 CHAIRMAN DANNER: Yes.

15 MR. SATTERTHWAITE: Sara Longan?

16 DR. LONGAN: Yes.

17 MR. SATTERTHWAITE: Terry Turpin?

18 MR. TURPIN: Yes.

19 MR. SATTERTHWAITE: Ron Bradley?

20 MR. BRADLEY: Yes.

21 MR. SATTERTHWAITE: Andy Drake?

22 MR. DRAKE: Yes.

1 MR. SATTERTHWAITE: Mary Palkovich?

2 MS. PALKOVICH: Yes.

3 MR. SATTERTHWAITE: Rich Worsinger?

4 MR. WORSINGER: Yes.

5 MR. SATTERTHWAITE: Jonathan Airey?

6 MR. AIREY: Yes.

7 MR. SATTERTHWAITE: Mark Brownstein?

8 MR. BROWNSTEIN: Yes.

9 MR. SATTERTHWAITE: Sara Gosman?

10 MS. GOSMAN: Yes.

11 MR. SATTERTHWAITE: Robert Hill?

12 MR. HILL: Yes.

13 MR. SATTERTHWAITE: It's unanimous.

14 The motion carries. Thank you all.

15 CHAIRMAN DANNER: All right. And I

16 think that concludes our business for today.

17 So, thank you very much everyone, including the

18 PHMSA team. Alan, we're back to you for some

19 closing thoughts before we formally adjourn.

20 MR. MAYBERRY: Sure. Just some

21 quick thoughts. First of all, Chairman Danner,

22 thank you again for leading another successful

1 meeting and your good work. It's much
2 appreciated, as well as the work of the
3 members.

4 We obviously value your opinion, and
5 I really enjoy these meetings. It's
6 unfortunate, I really want to talk to you more
7 than I'm able to. In fact, I rarely get to
8 call you. But I really appreciate your
9 involvement nonetheless in this great forum
10 that we have here.

11 I can tell you now we've got what we
12 need to go forward. You'll see the meeting
13 record shelved in about two to three weeks, as
14 I indicated earlier.

15 Our work is far from done, as we
16 prepare a final rule, would be the next step
17 after considering the recommendations provided
18 by the committee today. And as you may know,
19 we have a lot of irons in the fire here at the
20 sausage factory. We have a lot of success
21 pointers you've seen in the great work that
22 you've really been involved in.

1 But there's a lot more to do on the
2 number of topics. So, we'll be looking forward
3 to meeting with you in the future, as we go
4 forward.

5 With that, I think I will turn it
6 back to you, Mr. Chairman. But again, thanks.
7 Oh yes, lastly, like I said coming in, a big
8 thank you to the PHMSA staff.

9 As you know, it takes a lot to put
10 these meetings on, and they've really just
11 gotten this down to a science, even in light of
12 COVID. So, my thanks to the PHMSA staff for
13 pulling this off today.

14 We changed it up on you a bit. We
15 were on the phone last time. This time we're
16 using teams. Seems to work out pretty well,
17 but we'll continue to make improvements as we
18 go along, and much appreciate the efforts of
19 the staff.

20 So, with that, I will turn it back
21 to you, Mr. Chairman, to close us out. Thanks
22 again.

1 CHAIRMAN DANNER: Thank you very
2 much. And thank you for your comments. I hope
3 that someday the committee will once again be
4 able to meet in person, and that PHMSA will
5 provide coffee.

6 And I think we're done for the day.
7 Last call for comments from committee members.
8 All right, hearing none, I think we can
9 adjourn. So, we are adjourned. Thank you all.

10 (Whereupon, the above-entitled
11 matter went off the record at 5:39 p.m.)

12
13
14
15
16
17
18
19
20
21
22

A		
a.m 1:11 4:2	274:18	42:18 83:13 85:12
abide 19:6 88:3	accumulated	85:18 88:8 95:16
ability 52:14 61:12	245:21	95:21 99:5,12
168:9	accurately 335:20	108:9 127:20
able 16:1 80:16	achievable 18:19	150:7 220:13
81:22 82:13 87:2	achieve 17:11	223:14 230:21
95:11 105:22	acknowledge 54:12	232:3 237:19
176:20 179:12	55:10 56:17 90:9	252:18 253:22
190:17 242:7	acknowledged 7:9	264:20 290:11
278:17 338:7	acknowledges	additional 23:16
340:4	91:18	37:12 47:18 48:22
abnormal 200:7	act 5:17 39:5	61:14 72:13 88:7
above-entitled	109:15 112:8,10	97:11 98:9 99:8
196:10 340:10	121:7 140:18	141:17 151:5
aboveground	156:6 187:3 202:9	168:5 202:13
268:2,14 271:16	209:7 253:2	217:16 221:9,21
279:13 280:10	action 24:7 46:7	224:20 248:20
absolutely 119:11	72:14 86:16 111:7	270:17 319:3
124:9 144:3	112:14 175:16	326:18 328:15
239:20 301:3	202:18 228:7	329:15
AC 31:15,16,18,19	272:14 330:21	additionally 11:1
accept 61:12 80:19	actions 4:22 24:7	43:5 49:18 173:17
111:20 170:4	24:16,22 25:11	223:10 233:15
277:13	37:9,14,16 50:5	address 5:4 37:17
acceptable 187:16	87:3 112:11	47:3 49:11,17
222:3 226:16	168:19 186:10	50:3 52:5 62:5,12
238:2	203:8 208:20	74:2 87:2 111:12
acceptance 100:22	249:17	126:17 129:6
accepted 42:11	active 275:10	132:1 139:9 146:6
81:1 97:20	activities 100:12	148:17 152:13
access 6:14,15	135:14 160:17	154:16 169:8
100:10	283:2	175:21 177:15
accidents 18:22	activity 90:6 211:17	180:14 186:8
192:4	215:11 285:22	208:17 217:10
accommodated	297:5	230:15 246:19
56:15	adamant 26:9	248:14 293:21
accomplish 19:21	add 31:16 61:10,16	addressed 36:7
158:21	61:22 133:10	46:16 64:2 72:4
accomplished	147:17 206:8	100:7 120:6
269:7	242:11 288:11	151:12 153:4
account 38:14,18	290:11 300:3	232:9 246:14
170:18 173:3,11	305:5,8,10,11	addresses 39:6
290:14 293:1	312:3 314:11,16	62:3 205:14
315:7	added 97:15 131:20	232:14
accounting 171:1	150:8 309:21	addressing 41:18
accounts 169:3	adding 31:19 92:1	111:2 120:13
Accreditation	207:6 233:15	220:5 246:9 250:8
	addition 13:21 27:9	295:11
		adds 52:6 285:1
		323:21
		adequate 68:7
		adequately 199:12
		208:10 250:7
		273:21
		adhere 8:3
		adhering 179:3
		adjacent 99:10
		100:10,14 104:22
		225:15
		adjourn 333:22
		337:19 340:9
		adjourned 340:9
		adjusted 165:5
		169:1
		adjusting 166:16
		173:2 175:4
		181:15
		adjustment 168:21
		169:19 171:21
		180:1 182:6
		193:13
		Administration 1:2
		166:10
		administrative
		166:8 282:4
		administrator 2:1,2
		5:14 6:4,6 15:1,7
		15:9 20:19 26:8,9
		admirable 18:16
		admit 5:3 180:17
		283:3
		adopt 37:4 143:14
		155:12 169:18
		193:13 265:18
		304:8,14 330:10
		adopted 81:2 89:10
		89:20 110:10
		114:18 116:13
		127:12 128:3,9
		149:11 167:11,17
		180:20 225:15
		adopting 37:5 50:9
		93:8 111:21 126:5
		169:17 227:22
		276:17
		adopts 19:12

advancement 293:2	75:19 112:20 136:10 145:2	9:18,21 13:13,15 14:18 17:9 21:1	65:17 84:17 206:10 221:16
advancing 16:21	146:21 159:5	124:5,18 147:13	250:8 330:4
advantage 20:7 244:3	161:15 162:2 194:5 252:19	149:3 163:13 195:17 211:20	alluded 178:21
adverse 96:1 270:10	260:9,10 262:14 284:4 289:13	213:9 242:9 245:16 249:13	alter 253:3,16
adversely 39:12	296:9 297:12	314:1,17 315:10	altered 38:11
advice 147:22	302:3 319:2	316:2 317:9	alternative 222:2 226:13 271:8
advisory 1:4,10 4:8 5:16,17 7:14 10:6 17:15,22 18:3,7 23:20 52:13 73:13 131:12 182:11 239:6 281:14	321:13,14	319:20 333:21 334:6 337:18	272:3,18 274:9 277:10
advocacy 35:15	agreed 36:4 145:20 147:2 151:13 152:10 305:5	Alan's 317:8	Alternatively 257:17
affairs 2:3 6:9 53:7	agreement 40:20 140:6,9 154:5	Alaska 1:20	AMAL 2:9
affect 27:12 44:9 60:1 113:16 168:8 181:5 238:11,13	agreements 45:15	alerts 11:3	amendment 47:20 132:17 181:2 221:10 225:6 226:17 325:20 326:16
afraid 305:21	agrees 137:14 167:14 266:10 275:6 319:1 330:2 334:18	align 107:14 266:21 278:13 286:17	226:17 325:20 326:16
afternoon 101:6 106:21 172:18 230:6 235:20 303:16	Ah 96:8	aligned 285:15 287:14	amendments 19:15 26:21 27:6,11 36:17 39:4 132:18 165:13 220:2 223:15 224:14 228:8
AGA 69:3 222:17	ahead 61:19 63:15 75:1 131:17 133:16 154:21 159:15 164:7,13 170:8 188:19 190:2 215:20 230:2 243:11 245:17 250:20 252:16 257:22 259:7 261:20 264:9 267:18 288:4 292:6 305:10 325:18 334:4 335:17	aligning 90:21 278:14	America 2:14 35:10 216:9,19 217:15 218:1 219:9
AGA's 69:4 223:9	air 329:20	alignment 108:9	American 2:16,19 17:4 28:16 35:6,6 35:7 51:13 107:5 222:8 274:17 278:10
age 210:14	Airey 1:14 12:20,21 63:1,2,8,11,11,16 76:20,21 163:1,2 195:6,7 261:7,8 263:11,12 303:1,2 322:9,10 324:22 325:1 333:8,9 337:5,6	ALLEN 2:10	AmeriGas 35:2
agencies 24:14,19 38:18 81:1 89:21 247:17	AI 125:9	alleviate 19:16	amount 82:2 168:16 173:6 188:5 189:4
agency 43:12 111:13 128:9 146:9 247:17 312:21 318:21,22 319:18	AL-MASHAGBEH 2:8	allocation 247:20	amperage 265:3
agency's 143:22 175:10	Alan 2:4 5:7,11,13	allotted 6:17	amplified 186:4
agenda 5:8 7:12 14:4 24:13 295:6		allow 5:4 49:1 52:13 85:8,9,17 85:21 91:13 107:16 182:20 201:22 223:1 227:2 245:7 269:7 304:22 328:6	AMY 2:10
aggregate 113:14 115:5,12		allowable 78:22 79:4 225:18 226:19 227:4 329:21	analyses 190:7
ago 52:11 111:11 111:14 130:18,19 131:4,7 173:5 184:11,16 292:12 304:2		allowance 327:15 327:20 328:17,20 330:18	analysis 28:10,11 37:22 38:13 91:22 143:5 144:7,8 158:1 168:18 169:2,4 175:11,16 190:18 202:13 205:11 209:21 210:3,15 214:15
agree 40:18 53:15		allowances 329:4	
		allowed 48:1 143:13 154:6 220:6	
		allowing 220:20 221:7 222:10 265:14 267:9 277:9	
		allows 17:17 60:11	

- 272:19 329:15
analyze 176:11
analyzed 213:22
analyzing 227:11
 255:1
anchor 114:14
and/or 58:7 69:11
 98:15 99:10,20
 160:19
ANDREW 1:18
Andy 12:11 76:12
 112:17,18 120:3,6
 123:8 124:4,5,6
 133:1,3 135:13
 144:14 150:15,16
 151:1,1 158:7,10
 158:11 162:16
 184:19,20 190:19
 191:4 194:19
 261:1 263:5
 296:22 297:1,12
 302:17 308:11,12
 321:6,7 322:3
 324:16 333:2
 336:21
Andy's 128:11
announce 167:18
annual 29:14 30:17
 33:13 44:5 67:3
 70:2,7 182:7
 185:4 190:21
 191:14 206:10
 207:8 208:10
 209:2 231:1,2,5
 232:10,20 233:19
 234:22 244:13
 245:5,6,22 250:3
 251:5 265:8,15,18
 266:9 288:19
annualized 27:8
 32:3
annually 208:6
 213:19 237:1
 249:19 266:2,12
 267:5 283:19
answer 81:17 82:17
 124:2 133:18
 146:4 158:12,13
 178:7 232:6
 250:11
answers 58:17
 67:11 124:4
 133:14 189:9
 215:12 235:7
 250:17
anticipate 5:6
 39:12
anticipated 205:16
 211:15
anticipates 29:15
anxiety 74:6
anxious 136:21
anybody 71:1 309:7
anymore 253:7
anyway 158:22
 306:2
apart 233:13
apartment 198:3
APGA 31:19 243:13
API 40:16 107:13
apologize 255:22
 320:17
apparent 238:19
 266:13
apparently 143:10
appear 174:16
appears 57:6 233:4
Appendix 166:10
 167:17
applaud 116:15
apple 185:12
applicability 43:8
 47:4 49:12 60:17
 60:19 72:2 145:16
 151:15 152:12
 161:4 228:2
 259:11 292:16
applicable 45:12
 48:7 67:10 86:14
 103:15 116:6
 160:14 201:19
 249:13
application 86:14
 109:11 117:2
 198:13 211:5
applications
 210:21
applied 112:10,14
 116:22 144:1
 202:14 256:3
applies 112:8
 125:22 273:3
apply 44:7,22 48:7
 48:13 53:21 59:5
 59:12 61:9 70:21
 80:1 85:20 89:14
 91:4,20 109:18
 127:11 135:5
 139:10 149:10
 160:15 201:15
 203:5 256:15
 271:14 273:13
 335:9
applying 42:9 88:8
 128:13 140:18
 149:7
appreciable 174:15
appreciate 51:18
 52:19 67:15 73:9
 74:2 94:11 112:19
 124:15 125:14
 128:12 140:14
 142:20,20 143:6
 144:4 147:15,17
 147:21 151:8
 154:18 158:17
 159:1 178:9
 184:15 219:17
 224:21 230:10,14
 236:7 239:20
 240:8 248:3 278:7
 278:12 307:11
 317:15 318:13
 338:8 339:18
appreciated 5:9
 57:4,20 59:16
 338:2
appreciates 36:15
 56:2 326:20
approach 53:19
 54:18
approaching 141:3
appropriate 4:22
 18:1 26:13 37:10
 38:7,9 54:14 56:5
 72:14 118:17
 146:8 156:11
 164:7,11 166:11
 166:21 167:15
 168:1 169:19
 185:20 187:9,15
 193:13 200:15
 203:5,13 227:10
 228:6 242:18
 249:17 275:8
 280:14
appropriately
 38:21 56:13
 148:18 246:19
approves 196:19
approving 201:21
approximately
 25:14 27:7 28:18
 29:5,10 30:18,22
 31:7,20 32:12,19
 33:1,7,11,21 34:1
 34:15 44:9 166:5
 205:19 206:16
 208:1,6 236:3
 237:1,12,16
 328:19
April 43:7 46:4
arbitrary 111:16
 167:20
area 14:20 63:17
 198:2 316:17
areas 26:2 34:9
 56:10 61:4,5 67:5
 123:7 216:15
 316:3,13 317:11
aren't 175:22
argue 306:21
argued 80:1,18
 139:11
argument 66:13
 127:16 132:13
arguments 111:19
 143:8,8 254:7
arisen 60:9
arising 106:16
Arkansas 1:19
article 91:16

ASAP 219:13
aside 121:6
asked 14:4 43:6
 58:17 60:5 158:14
 252:10 255:20
asking 86:17
 145:12 189:15
 232:4 235:8
 247:22 251:2
 292:6
asks 173:17 231:9
 235:4
ASME 78:16 79:2,6
 80:20,22 82:22
 84:8 97:18 98:4
 101:14 102:6,16
 107:15 108:1
 110:4 113:1,2,3
 113:11 114:19
 115:1,17,18,22
 116:12 117:2
 122:11 128:3
 137:12
ASME's 113:4
aspect 153:5
aspects 25:19
 49:19
aspirational 18:19
assemblies 3:15
 14:12 22:20 327:1
 327:9,15,21
assembling 310:15
assembly 119:9
assessment 31:3
 141:16 156:2
 158:1 269:6,20
asset 280:12,14
 312:7
assets 279:8 280:6
 280:15
Associate 5:13
associated 24:10
 27:22 29:2 30:3
 47:6 50:22 68:3
 69:12 87:9 95:15
 95:21 101:21
 103:10 108:21
 168:18 247:5,14

293:3
Associates 35:2
association 2:13
 2:14,19 28:17
 35:6,7,9,11,11,12
 45:6 51:13 53:8
 55:22 173:1
 200:17 207:2
 222:8 274:17
 278:11 292:13
associations 35:8
 47:19 90:2,21
 91:3 166:15
 224:14 225:1,9
 265:12,17 270:20
 271:2,7 275:17
 279:9 281:10
 328:3 329:17
assumes 44:14
assuming 31:9
assumption 69:20
assure 26:18 148:1
 157:19
assured 218:22
ASTM 220:10,10,19
 221:11,18 222:2
 222:14,20 223:7
 223:12,19 225:19
 226:16
Atlantic 314:19
atmosphere 27:21
 28:5 105:3 268:1
 288:12 291:13
 306:21
atmospheric 3:12
 14:9 22:18 30:3
 30:12 31:6 264:2
 267:15,21,22
 268:3,5,9,18
 269:3,5,9,13,14
 269:20 270:3,4,8
 270:15,18,22
 271:9,13,17 272:7
 273:14 274:3,11
 274:15,15 275:2,9
 275:11,14 276:14
 277:2,22 278:15
 279:14,18,19

280:4,19 281:20
 288:13,16,22
 289:14 290:16
 291:13 294:8,9
 297:21 298:16
 299:2,4,15 303:19
 304:3,16 306:6
 309:10,12 310:10
 310:19,21 311:1
 311:12 312:5
 316:7,18,20
 320:20 321:4
 323:2,5,8,10
attaining 18:4
attempt 49:17
attempted 62:12
attempting 41:17
attendee 5:1
attendees 4:4 5:5
 13:15 50:22
attention 129:17
 149:4
attorney 13:20
 139:16
attorneys 147:21
attractive 106:4
Attributes 205:22
audible 12:19 13:1
 57:13 74:12,17
 149:22 150:12
 175:1 188:10
 192:21 195:4
 302:6 303:11
audio 191:9 304:10
authority 58:7
 66:16 109:18
 121:7 132:5
 139:13 140:20
 142:12,13 143:2
 147:10 148:4
 149:18 150:3
authorized 5:2
automatic 68:2
 166:7
available 7:18,20
 10:11 23:3,4 39:2
 59:20 178:16
 202:7 241:22

251:18
average 29:12
 31:10 32:11 33:5
 34:13 105:16
 171:8,11 205:19
 206:17
avoid 99:19 171:2
avoided 32:15,18
aware 9:10 16:6
 102:20 140:2,8
 241:12 243:13
 269:9 293:9

B

b 3:5 122:13 134:14
 166:10 167:17
 171:7
back 11:17 13:10
 13:13,22 14:19
 26:19 62:20 64:10
 77:13,18 82:14,16
 93:22 95:18 113:7
 113:14 114:8
 116:7 118:9 121:5
 121:16 124:22
 128:11 133:13
 139:1,5 143:7
 151:17,22 153:3
 155:18 157:15
 158:7,13 176:16
 179:3 186:22
 188:14 196:1,14
 196:20 209:9
 212:7,22 215:19
 216:3 219:22
 229:6 239:6 244:7
 272:1 279:15
 280:22 281:1,4,14
 289:10,20 291:2
 300:14 304:17
 307:8 308:5,13
 310:17 311:12,20
 313:7 315:15
 317:4 332:12,21
 333:21 334:4
 337:18 339:6,20
background 3:2
 21:22 23:22 26:19

63:14 77:22 79:11
 80:5 113:1 159:9
 164:15 197:14
 199:5 204:18
 216:5 221:9,21
 267:21 325:22
backhoe 231:22
backward 116:19
backwards 137:2
 144:20 145:18
 212:21
bad 86:19
Balboni 12:22 77:1
bandwidth 4:18
bar 26:14
bare 287:1 290:2
barriers 113:15
 114:12
based 26:19 28:16
 29:8 30:17,21
 33:21 39:2 48:8
 58:15,18,20,21
 59:11 84:20 91:12
 97:7,7 100:22
 101:1 131:19
 165:22 166:17
 167:1,10,19
 169:11,19 179:14
 193:14 202:11
 218:20 220:9,21
 223:3,19 226:14
 232:2 235:7
 249:17 265:18
 266:8 273:19
 294:6 328:21
baseline 89:16
basement 307:3
bases 111:21
basic 8:3 62:4
 200:1 205:9
basically 23:18
 24:5 26:1 27:15
 28:21 29:14 30:2
 32:9 70:14,15
 72:3,5 115:13
 116:5 130:7 141:7
 272:1 328:11
basis 182:7 202:2

207:13 218:15
 227:2 288:20
Bauman 2:7 23:11
bear 287:13
begged 136:17
beginning 27:13
 155:14
begins 49:15 50:13
begun 289:21
behalf 53:8 55:21
 173:1
behavior 253:3,16
believe 16:4,18
 33:17 38:7 45:5
 51:22 58:1 62:1
 66:19 71:21 72:10
 86:8 125:2,7
 143:19 149:17
 164:5 167:20
 170:2 177:19
 216:3 229:17
 282:2 303:15
 333:19 334:22
believes 54:11
 202:12 248:5
 272:17
Ben 2:2 6:8 125:3,6
 140:1 141:6
benefit 28:10 38:3
 38:7,13 157:22
benefits 19:4 38:2
 38:4 39:8 54:3
 102:19 175:11,17
 190:12 248:22
best 17:18 18:8
 20:13 73:1 176:15
 191:7 198:5
 287:16
better 58:4 113:19
 113:20 161:22
 176:17 184:15
 186:11,15 222:5
 224:11 252:13
 291:19 296:18
beyond 148:4
 217:14 330:19
biennially 166:18
big 72:21 248:12

339:7
bigger 179:8
billions 105:2
bit 30:7 34:20 65:22
 66:8 69:4 100:8
 109:11 113:1
 136:6 142:6
 144:18 161:18
 179:6 186:14
 214:10 215:20
 239:17 242:3
 247:2 280:8
 304:19 311:6
 312:12 334:3
 339:14
Blacksmith 2:15
 101:10
Blaine 2:7 23:5
blind 80:16
blow 214:10
blowdown 94:12
 119:2,3 123:2
 160:18
blowdowns 120:14
blown 92:19 105:3
Board 81:5 91:17
 201:17
Boardwalk 2:17
 170:15,15 171:6
Bob 261:15
Bobby 21:6,19
 23:21 188:13
body 235:10
boiler 78:17,18
 79:2,6,14,18,21
 80:22 82:22 84:8
 84:15 85:13,18
 86:3 87:6 89:5,11
 89:18 90:22 91:17
 101:15 107:15
 122:11
bore 92:18
bottle 100:13
bottles 95:7 119:4
bottom 30:8
bought 116:11
 117:1 179:15
bound 241:2

BPVC 108:2
Bradley 1:15 12:9
 12:10 76:10,11
 162:14,15 193:4,5
 193:5 194:17,18
 239:11,12 260:21
 260:22 263:3,4
 285:7,8,9 288:18
 298:9,10,11
 299:17,19,19
 300:5,13 301:2,3
 302:15,16 306:9
 306:10,11 322:1,2
 324:14,15 332:22
 333:1 336:19,20
Bradley's 239:10
brand 309:17,22
 310:13,21 311:4
 311:14
brand-new 234:22
break 14:16 22:2
 137:15,17 163:15
 164:8,11 191:8,11
 195:18,22 239:7
 258:6,10,15,18
 300:17 313:17
breakdown 34:9
breaking 142:6
Brian 2:18 235:16
 235:21
brief 106:13 334:20
briefing 255:22
briefly 51:17
 191:17
bring 74:15 143:17
bringing 278:21
British 297:17
broader 47:6
 114:11 205:6
broken 258:11
Brookings 1:20
brought 59:4 125:6
 177:22 181:1
 289:2
Brownstein 1:15
 13:3,4 57:15,17
 57:21 62:16,18
 72:8 73:6,7 77:2,3

120:3,4 129:4,5
 130:6,22 131:10
 131:22 163:3,4
 178:18,19 180:21
 181:7,12 195:8,9
 209:12,13 210:9
 211:10,18 246:21
 246:22 250:19,21
 251:9 252:7 261:9
 261:10 263:13,14
 282:12,13 295:3,4
 295:14,19 299:8,9
 303:3,4 322:11,12
 325:2,3 333:10,11
 337:7,8
bubbles 172:8
bucket 185:12,16
Budget 38:17
budgeting 24:9
build 310:12
building 65:12
 286:2 310:9
buildings 80:12
bullet 78:1,14 87:4
 129:6 130:5
 131:22 133:7,8,9
 133:22 135:7
 140:15 141:9
 147:19 148:10
 150:6,8 151:7
 152:2,4,21 153:10
 193:15 305:9,10
 305:12 312:4,14
 313:6 317:5
 319:13,15 322:18
 323:17,21,22
bulletins 182:11
bullets 86:13
 131:21 132:19
 158:19
bundled 264:3
burden 26:5 32:16
 37:22 199:15
 200:3 206:18
 282:4
burdens 19:16
 24:19 26:12
burdensome 33:14

Bureau 81:2
Burman 1:16 11:13
 11:14 64:4,5,9
 66:7 67:13 75:22
 76:1 142:2,3,7
 151:3,6 152:7,17
 152:20 153:11
 154:11,22 159:2
 162:4,5 186:17,18
 186:19,21 192:16
 194:7,8 212:16,17
 212:20 215:20,21
 216:2 219:5,18
 260:11,12 262:15
 262:16 302:5
 303:10,15 321:14
 332:20 336:10
Burman's 158:12
burner 78:8
burst 84:11
business 290:13
 337:16
businesses 17:5
 240:3
button 133:3
 163:17 190:3
buttons 332:11
by-case 202:2
byproducts 138:7

C

c 3:7 47:22 49:14
 230:22 231:11
 233:16 271:19
C-O-N-T-E-N-T-S
 3:1
calculate 178:2
calculation 165:22
calendar 68:5
 170:19 269:16,16
 271:21 276:21
 298:21 301:14
 326:4,8
call 10:4,5 11:4,5
 11:11 21:13 75:19
 120:16 125:6
 144:10 149:4
 163:15 229:7

239:4 260:8 302:3
 335:13 338:8
 340:7
called 25:2 104:8
 129:20
calling 129:17
calls 99:13 287:19
 288:1
Cameron 11:5
 13:18 75:16,18
 161:12,18 194:1
 260:5 262:11
 302:1 321:10
 324:4 332:7,8
 336:6
camp 283:7
campaign 219:12
can't 5:11 59:13
 111:1,13 116:19
 119:22 126:7
 132:7 139:9
 146:18 148:17
 183:11 184:3
 251:17 305:21
canceling 233:17
capabilities 4:14
capacity 68:8
 180:19
capital 99:7 247:20
capricious 111:17
capture 105:22
 151:9
captured 167:1
 207:9
captures 125:20
care 309:8
career 101:14
careful 91:21
carefully 216:22
 248:5
caret 50:21
Carey 2:14 94:3,4,6
 94:9 118:19 123:8
Carolina 243:7
 288:10 301:20
carrier 303:13
carries 17:3 163:11
 163:13 195:15

261:16 263:20
 325:9 333:17
 337:14
carry 325:14
case 110:1 122:16
 122:17 130:14
 154:12 155:20
 286:21 299:17
 319:3 324:1
case- 202:1
cases 54:22 55:4
 71:7 82:8,13 95:2
 117:21 251:16
 285:17 306:22
cast 246:13 290:14
categories 207:9
 231:10 329:5
category 156:15
 205:6 230:22
 231:7,8 232:9,14
 232:21 233:1,12
 233:12
cathodic 265:8,19
 265:21
cause 95:17 174:1
 191:8 205:9
 210:19 214:3
 231:4,18,19 232:7
 232:17
caused 205:3,15
 231:6,11,14 269:9
causes 181:16
 192:7 208:7,16
 245:13 250:5
 254:19 255:7
causing 8:7 99:9
 185:14
cautions 227:14
center 48:21 52:16
cents 157:1 255:9
certain 19:16 49:19
 52:15 58:2 60:8
 95:2 220:8 327:5
certainly 125:16
 138:10 140:14
 141:18 143:16
 147:20 190:14
 242:6 278:12

307:19
certainty 55:8
 171:2
certified 118:4,12
certify 115:5,10
certifying 115:11
cetera 25:21 34:11
 121:10 167:3
 250:6
CFR 164:16
Chace 1:17 11:19
 11:20 76:2,3
 162:6,7 181:22
 185:8 188:17,17
 188:20 189:17
 191:16 194:9,10
 254:11,11,12,17
 260:1,2,13,14
 261:20,22 262:17
 262:18 281:15,16
 302:7,8 321:15,16
 324:6,7 332:12,13
 336:11,12
Chad 12:18 76:18
 162:22 195:3
chaff 182:22
chains 238:14
chair 5:21 9:22
 285:8 298:10
 319:9
chairman 1:11 9:17
 9:20 11:8,22
 13:11 14:1,2
 15:10 20:18 21:2
 21:17 22:10 50:14
 51:3,9,11 52:22
 53:3,4 55:15 57:5
 57:14 58:9,11
 61:18 62:15,19,21
 62:22 63:6,9,13
 64:3,7 66:4,6
 67:16 68:17 70:11
 70:22 73:3 74:9
 74:13,18 75:1,11
 75:15 76:5 77:11
 77:14 81:8 82:18
 93:22 94:1,2,5,8
 96:6,13 101:3,7

103:18 104:4
 106:19,22 107:1
 109:4 112:16
 113:4 120:2 121:4
 121:12,13 124:2,3
 124:18,20 125:10
 126:21 129:3
 130:2 131:11,14
 131:16 132:22
 133:15,16,20
 136:3 138:16,17
 140:21 141:6
 142:1,5,18 144:13
 144:15 146:15
 147:8 148:22
 149:19 150:1,13
 151:1 152:3,15
 153:8,17,21
 154:21 157:9
 158:6 159:13,15
 161:6,11,17,21
 162:9 163:12,20
 163:22 164:6
 170:2,6,11 172:15
 172:20 173:13
 174:19 175:2
 177:12,16 178:6
 178:17 180:11,13
 181:20 184:18
 186:16,20 188:1
 188:11,15 189:14
 189:19 190:1
 191:4,12 192:13
 192:18,22 193:18
 193:22 194:12
 195:16 196:1,3,9
 196:13,22 197:10
 203:11,15 204:2,4
 204:9,12 209:8,14
 211:20 212:15,19
 213:5 214:9
 215:16 216:1
 217:18,20 219:19
 228:17,21 229:3
 229:17,19 230:2,5
 235:15,19 239:1
 239:11 240:16
 241:4 242:5,11

243:1,10 244:6,22
 245:15,17 246:20
 247:1 249:3
 250:12,21 252:10
 252:16 254:10,15
 255:12 256:8,13
 256:17,21,22
 257:5,14,20 258:5
 258:14 259:4,21
 260:3,16 261:17
 262:7,10,20
 263:21 264:6
 267:11,16 276:11
 277:12,15 278:5
 281:11 282:11
 284:2 285:6 288:7
 290:6,18,22 291:8
 292:3,5 295:1,2
 295:15,21 296:5
 296:21 297:6,14
 299:6,16 300:2,9
 300:15,19,21
 301:17,21 302:10
 303:14 304:6,13
 305:13,22 306:9
 307:10 308:10
 309:7 310:5
 311:15 312:9,22
 313:4,9,15 314:14
 314:22 315:17
 316:1,12 317:2,7
 317:9 319:7 320:2
 320:3,13 321:5,9
 321:18 322:17
 323:13,19 324:3,9
 325:10,15,17
 330:22 332:1,5,15
 333:18 334:2,7,8
 335:11,14 336:2,5
 336:14 337:15,21
 339:6,21 340:1
chairperson 5:20
 7:11 8:11 10:3
challenge 9:8 118:2
 126:17 140:4,7
 199:9 218:14
challengers 140:6
challenges 9:4

72:21 87:2 90:11
challenging 51:14
 139:17 218:8
 254:15
chance 174:18
 190:12 214:10
change 46:11 47:16
 50:10 55:1 58:19
 59:8 69:18 110:10
 111:13 113:12
 114:15 128:4
 131:5 132:8 137:6
 139:12 140:4
 143:18 152:1
 176:3 206:15,20
 208:12 209:16
 226:18 236:11
 238:3 241:12,13
 252:11 270:13
 273:6 274:6,18
 276:5 294:4,11
 301:11 304:3
 321:1 323:4,17
 334:19
changed 73:16
 85:3 88:1 89:9
 113:11 114:19
 182:12 214:14
 300:12 339:14
changes 36:3 49:4
 52:16 54:9 56:3
 56:14 75:9 79:8
 86:9 87:13 88:11
 91:21 93:9 111:21
 132:20 150:4,14
 152:5,22 153:4
 154:13 160:1
 168:7 169:1,10,18
 192:10 193:12
 207:20 209:1
 224:16 227:7
 228:1,2,9 251:21
 256:2 259:14
 268:17 276:18
 298:18 300:11
 330:11,13 331:20
changing 109:13
 149:15,16 168:15

188:4 208:18
Chao 187:4
charges 171:13
charts 60:18
chase 20:3 181:21
chasing 246:9
check 7:3 67:7,22
 279:16
checks 69:22 148:5
Chemical 81:5
Cheniere 2:17
 173:16
chief 2:3 6:7 71:2
 334:11
chills 297:22
chime 71:3 124:20
choice 44:2 176:15
choices 186:15
 235:7,11
choose 108:13
 235:9 279:12
Chris 2:6,17 23:6
 39:20 58:12 67:20
 173:13 197:2,7,10
 203:15,18 209:20
 212:4 213:17
 214:9 215:15
 217:6,8 245:2
 246:1 249:10
 251:12 256:9
 293:21
Christopher 2:12
 51:5
circumstances
 57:20 208:12
citizen 35:18
City 184:5 259:19
 288:10 306:4
CJ 51:11
claimed 79:13
clarification 65:2
 81:9 82:19 121:3
 135:17 136:2,5,7
 147:5 158:17
 216:8 225:11
 273:1 323:16
clarifications 124:8
 124:16 151:20

clarified 63:8,20
 124:9 137:1,1
 216:12 219:10
clarifies 223:8,10
clarify 46:21 65:22
 67:17 85:19 90:14
 116:4 118:13
 133:12 134:3
 136:10 142:8,17
 152:22 160:2,7,13
 208:15 212:14
 219:4 222:15
 223:21 224:4,7
 265:2 266:11
 270:1 273:15,17
 277:5 294:7 304:1
 311:18
clarifying 89:13
 92:2 93:10,15
 128:16 132:18
 159:8 203:16
 209:10,14 213:7
 219:20 267:14,17
 277:17 331:1
clarity 52:7 56:4,16
 57:2 59:21 61:10
 63:4 94:15 136:11
 209:17 234:22
 251:13 252:9
 258:10 314:11
class 40:21 78:11
 110:8,19,19
classification 40:6
 48:8 54:14,22
 55:12
classified 48:6
 54:19 205:4
classify 48:1
classifying 255:1
clause 86:14
 125:22 126:1
clean 97:12 146:13
 146:20 306:16
cleaned 268:4
clear 46:17 58:14
 96:12 124:12
 127:7,7,8 129:1
 137:8,13 140:17

156:17 178:11
 185:1 188:9
 203:19 222:6
 241:7 264:16
 293:4 304:12
cleared 154:10
clearer 149:13
clearly 116:12
 120:10 146:21
 148:16 187:6
Clegg 13:20
close 31:22 109:16
 130:14 144:9
 282:9 313:18
 339:21
closed 104:21
 140:17
closely 225:13
 242:16
closing 337:19
coast 163:14
coat 279:14
coated 268:4
coating 271:14
 309:21
code 67:9 78:17
 79:3,7,15,19,22
 80:22 83:1 84:9
 84:16,21 86:3
 87:7 88:4 89:6,8
 89:12,19 101:15
 101:16 107:16
 117:2 122:12
 126:4,18 135:2
 154:1,4 225:19
 264:20 281:5,5
 299:3
codified 43:3 147:7
codifies 43:20
 267:1
coding 309:15
coffee 340:5
colleagues 57:9
 174:21
collect 176:12
 182:16 183:7
 184:7 191:13
 250:15

collected 185:3
 210:19
collecting 168:4
 185:3 212:12
 248:20
collection 180:8
 207:22 215:11
colloquially 40:8
color 309:6
Columbia 297:17
comb 112:22
combination 41:14
 208:8
combine 257:22
 315:20
combined 208:7
 236:22 313:21
come 19:1 56:6
 124:21 136:18
 140:22 142:21
 176:17,20 196:1
 229:6 247:21
 279:15 289:10
 307:8 308:13
 318:20 334:4
comes 28:21 65:20
 94:20 114:17
 148:17 197:6
 210:16 252:20
 280:5 283:1
comfort 285:1
 307:13 308:4
 318:11
comfortable 143:4
 154:11 285:2,2
coming 51:8 65:10
 96:12 126:5 157:4
 247:9 339:7
commensurate
 246:14
comment 6:17,22
 11:4 25:10 34:20
 50:16,18 51:1,16
 52:21 55:14 63:12
 73:8 86:7 88:6
 96:20 104:3
 118:13 123:1
 125:14,15 133:15

144:21 151:5	74:10 86:6 90:1	303:15	communities 16:15
153:7 154:19	90:20 93:4,6 94:1	commissions	61:3
157:12 158:5,8	94:9,11 97:5	247:18	community 38:19
174:18 178:10,20	101:19 104:5	commitment 16:17	companies 28:19
179:5 188:12	107:7 109:3,7	18:2	42:8 44:11 53:9
190:20 191:17	111:5 112:19	committee 1:4,10	56:11 83:22
200:14 202:14	118:9 121:6,8,10	3:16 4:8 5:16,17	104:13 106:5
217:22 218:20	125:13,17 126:19	6:14 7:14 8:2 10:7	238:5 243:18
224:18,20 226:12	126:20 127:2,3	15:11 17:15,22	company 41:11,13
227:8 228:19	128:12,12 132:2	18:3 23:15,21	104:7 198:1 230:9
229:9,12,13,15	141:13 144:5	50:9 52:13 57:10	comparable 222:2
236:8 239:4,12,22	149:20 150:11	73:4,13 74:11,16	compare 168:9
243:9 272:19	151:10,11 152:8	93:8 101:8 102:5	compared 31:16
273:19 277:20	154:3,10 155:1,7	109:6 113:5	83:11 198:10
278:8 283:7	155:10,21 156:8	131:12 132:16	205:6 226:15
291:16 307:20	159:1 161:1 165:9	142:21 144:6	329:11
314:16 326:18,19	166:6,11,14	147:18 149:21	comparing 182:3
328:16 329:16	169:15,16 170:5	158:9 159:4	189:11
commented 31:19	172:14,22 173:8	169:17 174:22	compelling 308:20
37:20 44:20 45:7	174:20 177:9	179:10,14 196:19	complete 43:13
46:14 90:4 200:18	178:9 188:22	209:9 227:21	259:3
201:7 202:20	189:10,21 192:19	236:8 238:21	completed 50:5
225:1	201:16 202:11,16	239:6 276:17	317:14
commenter 36:11	203:14 207:5,20	277:16 281:9,14	completely 105:14
177:22 202:22	208:13 224:13	296:2 298:12	306:19 307:7,7
225:8 265:22	227:18,20 228:4	301:5 305:11,15	309:20
266:18 294:2	229:1,15 230:11	311:22 314:4	complexes 198:3
commenters 2:12	235:13 239:19,21	317:22 318:19	compliance 89:17
36:2,9,20 48:18	240:17 265:11	319:19 326:1	116:10 199:8
49:6,20 58:1 59:2	268:16 270:19	330:10 331:2,7	200:1 284:10
62:2 69:9 79:12	276:9,12,15	334:13,18 335:5	complicated 279:3
80:18 120:11	277:13 281:12,17	335:10 338:18	complicates 90:10
166:16 177:8	285:10 291:15	340:3,7	complications
183:19 224:19	292:14 295:16	committee's	106:16
226:8 304:21,22	307:19,21 326:15	334:17 335:4,22	complied 115:22
326:17 328:14	329:2 330:2,7,8	committees 18:7	complies 115:18
commenting 168:8	331:3,4,7,8 340:2	157:22	complimentary
comments 7:6,9,11	340:7	committing 132:9	202:10
7:14 10:21 19:14	commercial 40:14	common 225:8	comply 29:18 44:2
22:22 25:3,6,14	Commission 1:13	314:12	44:16 67:9 69:21
27:2,3 28:16 29:8	1:16,17,22 6:1	commonly 78:1	80:7 87:5 115:11
30:21 34:22 35:14	10:2	204:21	117:1 126:8
35:18,21 36:1,6	commissioned	communicate	198:14 221:15
36:16 37:8 43:11	83:1	243:21	243:17,20
44:19 47:8,18	Commissioner	communicated	complying 116:11
48:8,17,22 50:6,8	142:6 151:8	141:22 240:18	243:22
53:11,14 57:10	158:12 159:2	communication	component 55:2
61:13 62:13 70:14	212:16 215:20	59:21 242:2	99:21 122:4,7

154:8 214:18,19
234:11 306:18
components 80:3
137:17 232:15
268:14 327:5,8
composite 115:12
compounds 227:15
comprehensive
17:12 168:11
335:1
compress 104:20
compressible
100:3
compression 103:9
104:9 105:21
compressor 78:2
78:10 80:3 95:8
98:15,16 100:14
104:16,19 110:8
110:18 134:12,14
comprise 53:9
compromise
137:13 298:4
317:16 318:13
compromising
25:13 230:16
computer 199:3
254:13
con 132:13
concentrate 148:12
concern 52:18
94:20 99:8,19
100:2 105:7
142:17 154:18
176:7 244:15
253:4 254:7 280:1
289:2 291:8
293:22 307:14
317:17
concerned 65:8
138:10 190:16
308:2
concerning 98:7
127:19 230:12
234:5
concerns 19:7
52:18 97:17
107:11 108:19,20

111:18 112:6
146:17 150:3
154:17 155:22
156:10 157:2
158:22 217:22
230:21 233:21
234:14 272:5
concludes 8:14
9:13 50:6 93:4
169:14 170:3
227:17 228:14
235:13 267:11
276:11 330:6
337:16
concluding 238:18
conclusion 141:1,8
conclusions 84:3
202:12
concurrently
281:20
condition 98:10
conditioned 111:6
conditions 68:7
97:7 120:9 220:8
268:6 275:3
conducted 264:17
274:12
confident 18:18
148:7
configurations
46:1 49:3 54:15
54:16 90:5
confirm 122:4
154:7
conflict 11:16 12:7
79:14 116:4
117:13
confused 133:7
216:5 282:14
confusing 145:20
279:6
confusion 52:6
63:18 79:16
114:17,21 115:16
138:3 145:3 147:1
147:2 149:13
159:7
connect 104:17

119:3
connected 29:11
29:16 41:21 43:16
44:3,11,22 46:8
47:13 48:5 64:18
64:21 69:5,10,19
306:12
connection 59:3
connections
104:18 205:1
215:1 238:17
consensus 142:22
318:20
consensus-build...
144:5
consequence
108:21 205:8
consequences
34:5 87:15
consequential
46:11 47:16 165:7
206:2
conservable 100:3
consider 37:7 39:8
47:7 50:9 92:1
93:8 99:22 125:17
126:19 132:16
144:4 167:15
169:10 173:18
175:20 183:22
202:16 209:4
220:19 227:22
228:3 230:18
274:8 276:6,17
281:9 293:7
312:17 314:4
330:20
considerable
283:14
consideration 54:9
91:22 138:11
141:19 156:7
270:2,15 275:13
294:7 322:19
considerations
41:4 81:16 91:20
96:2 275:22
considered 27:12

37:13 39:1 49:21
50:3 143:9 219:14
241:11
considering 43:10
62:13 112:4 127:2
144:2 314:5
338:17
consistency
168:21 203:7
consistent 67:4
68:11 87:16
165:15 167:12,16
169:12 189:5
211:14,15 215:4,8
250:1 268:21
272:14,20 276:7
276:22 277:4
298:21 301:14
consistently
191:21 250:4
consists 43:7 265:3
constant 211:13
constitute 25:17
constitutes 23:20
216:6 217:2
218:13 264:21
construct 86:16
101:20 111:8
constructed 78:15
construction 19:17
92:6 93:17 127:9
134:4,14,16 149:9
160:8 232:18
329:9
Consulting 35:4
consume 174:14
consumer 63:19
217:11
consumer- 63:4
Consumers 1:21
290:9
contact 21:12,15
contain 58:6
contaminants
103:7
contaminates
103:17
content 276:5

294:4,11
context 38:8 59:5
 113:10 209:19
 249:1 256:6 292:8
contexts 249:2
continually 17:20
 20:3 219:1
continue 29:17
 43:22 44:7,16
 55:11 69:21 71:15
 85:9 185:9 201:14
 204:6 206:11
 252:2 267:5 306:7
 339:17
continued 88:22
 214:1 215:4
 240:11,12
continues 167:8
continuing 176:11
 176:12 200:9
continuously
 191:19
contract 70:19
contractors 101:20
 103:20
contractual 45:15
 45:18 70:18
control 68:10 78:6
 269:15
controlled 118:3
Controlling 24:5
controls 6:14
 102:17 113:15,18
 114:12
conundrum 116:10
 117:6
convene 103:21
conversation 22:11
 131:20 136:12,13
 137:18 138:6
 151:22 153:3,18
 180:7 306:12
conversations
 179:9
Conversely 208:4
conversing 8:6
conveyances 73:19
coordinate 288:19

288:21
coordinating 31:12
 289:4
correct 19:7 68:10
 116:18,18 128:20
 133:22 134:1
 135:12 189:17
 211:12 224:3
 256:16 294:20
correcting 223:18
correction 225:6
corrections 223:16
correctly 135:22
 248:15
corrects 148:6
corresponded
 225:13
corresponding
 79:8 165:18
 226:22 273:6
corrosion 3:12
 14:10 22:18 27:21
 28:6 30:3,12 31:7
 92:13 231:21
 264:2,13 267:15
 267:21,22 268:3,5
 268:9,10,11,18
 269:3,6,10,15,21
 270:2,3,4,8,14,15
 270:18,22 271:4,5
 271:9,13,18 272:7
 272:11 273:2,4,14
 274:2,3,7,12,15
 274:16 275:3,9,10
 275:11,14 276:10
 276:14 277:3,11
 277:22 278:15
 279:14,18,19
 280:4,19 281:20
 288:12,14,16,22
 289:14 290:16
 291:14 294:7,8,9
 297:21 298:16
 299:2,5,15 303:19
 304:4,16 305:2
 306:6 309:10,12
 309:17,20 310:10
 310:19,21 311:2

311:13 312:5
 316:4,7,9,10,14
 316:19,20 317:12
 320:20 321:4
 323:2,5,8,10
corrosive 272:12
 307:4 314:7,21
corrosivity 316:18
cost 24:9 26:5,12
 27:6,8,16,19,22
 28:1,4,9,12,19,21
 29:2,4,12,14,19
 29:20 30:2,4,10
 30:11,17 31:8,11
 31:14,14,16,22
 32:3,6,10,11,22
 33:4 34:15 36:5
 38:7,13 75:7
 95:22 105:15,20
 106:2 157:20,22
 159:21 164:21
 171:8,11,18 172:5
 174:2,9 177:8
 180:8 183:5 186:5
 190:8 207:15
 248:12 259:12
 262:5 328:18,21
cost- 38:19,20
 301:9 318:17
 319:5 320:21
cost-benefit 175:15
 190:7,18
cost-effective
 193:11 298:17
 323:3 331:19
cost-free 183:15
costs 24:5 31:21
 38:1,22 39:8,10
 54:2 80:9 87:12
 99:7 167:2 171:5
 175:14 176:1
 177:6,7,21 178:1
 178:3 185:9 191:8
 248:20
counsel 2:3 6:7
 125:4 144:18
 146:5 334:11
counsel's 71:2

count 206:8,21
 208:9 332:8 336:6
counting 233:18
countless 18:12
country 54:16
counts 190:22
County 1:20
couple 22:8,8 24:1
 28:7 61:7 223:15
 247:2 285:10
 292:12 295:10
 296:19
coupled 275:22
coupling 214:22
 244:15
couplings 247:7
course 5:5 23:8
 27:3 60:22 77:6
 127:3 128:8
 171:16 178:11
 215:12 242:7
 315:6
cover 8:4,22 14:21
 68:19
covered 7:4 13:21
 64:11 68:21
 197:15 204:11
 218:11
covering 61:6
covers 13:22 34:17
 201:5 329:6
COVID 9:2 339:12
CP 266:3,16 276:22
 277:1 298:22
 299:1 301:15,16
CPI 169:20 193:14
CPI's 165:15
cracking 92:13
cranes 174:7
create 20:9,13
 48:19 90:11 146:2
 199:17 216:14
 317:12
created 114:20
 116:9 138:7 212:2
 212:3
creates 128:21
 253:13

creating 54:3 256:4
308:6
crew 269:8
crews 171:14
criteria 3:7 14:7
22:6 163:21 164:3
164:18 165:16
166:8 169:5,15
170:4 181:18
188:4 205:8,18
275:20 293:3
criterion 165:4,6,14
167:22 168:16,22
178:4
critical 73:12 98:18
cross-referenced
206:6
cryogenic 173:22
174:8
CTS 223:19 225:4,5
225:14,15 228:12
236:14,19 237:4,6
237:13,17,19
238:16 259:18
cubic 105:2 165:1
172:10
curious 70:12
current 36:11,18
58:18,21 59:12
66:14 71:19 72:10
72:11,19 85:4
92:6 93:16 98:7
126:16 129:19
130:1 134:4,16
160:8 167:2
168:12 171:3,16
173:4 177:20
234:15 264:12
268:21 309:16
currently 58:20
67:20 68:14 94:22
129:16,22 198:14
244:20 264:20
267:3 269:10
305:3 312:1
custody 55:3
customer 40:14
41:2,14 48:17

49:8 55:3,6 71:11
115:13
customer- 71:4,5
customer-owned
46:22 47:10 63:4
customer's 289:8
customers 38:15
39:11 40:10 41:19
106:4 198:9 201:2
201:10 237:3
329:8
cut 7:11 304:19
cutting 310:14,14
cycle 280:5,13
281:3 282:7 284:1
286:14 287:15,16
307:8 310:3
311:20 312:7
317:13 319:4
323:11,12
cycles 278:22
281:6

D

D 3:9 271:8 279:10
D-O-T 10:14
D2513 220:10,19
222:20
D2513- 226:2
D2513-18a 221:2
daily 17:2
damage 34:2 86:2
91:12 99:10 103:9
108:21 164:20
165:4,14 166:17
167:5,10,21,22
168:3,22 169:7
170:17 177:6
192:8 193:9
233:13
damage-related
329:1
damaged 118:8
119:17 122:5,10
122:19 154:8
265:10
damaging 90:12
dangers 106:7

Danner 1:11,13
5:21 9:15,17,20
9:22 11:8,21,22
13:11 14:1,2
15:10 20:18 21:3
21:17 22:10 51:3
51:9,11 52:22
53:3,5 55:15 57:5
57:14 58:9,12
61:18 62:15,22
63:6,9,13 64:3,7
66:6 67:16 68:17
70:11,22 73:3
74:9,13,18 75:1
75:11,15 76:4,5
77:11 81:7,8
82:18 94:1,2,5,8
96:6,13 101:3,7
104:4 106:19,22
107:1 109:4
112:16 120:2
121:4,12,13 124:2
124:3,18,20
125:10 126:21
129:3 130:2
131:11,14,16
132:22 133:15,16
133:20 136:3
138:17 140:21
141:6 142:1,5,18
144:13 146:15
147:8 148:22
149:19 150:1,13
151:1,8,12 152:3
152:9,15 153:8,17
153:21 154:21
157:9 158:6
159:13,15 161:2,6
161:11,17,21
162:8,9 163:12,20
164:1 170:2,6,11
172:15,20 173:13
174:19 175:2
177:12,16 178:6
178:17 180:11,13
181:20 184:18
186:16,20 188:1
188:11,15 189:14
189:19 190:1
191:4,12 192:13
192:18,22 193:18
193:22 194:11,12
195:16 196:1,3,9
196:13 197:1,10
203:11,15 204:2,4
204:9,12 209:8
211:20 212:15,19
213:5 214:9
215:16 216:1
217:18,20 219:19
228:17 229:3,19
230:2,5 235:15,19
239:1 240:16
241:4 242:5 243:1
243:10 244:6,22
245:17 246:20
249:3 250:12
252:16 254:10,15
255:12 256:8,13
256:17,21 257:5
258:5,14 259:4,21
260:3,15,16
261:17 262:7,10
262:19,20 263:21
264:7 267:16
277:15 278:5
281:11 282:11
284:2 285:6 288:7
290:6,18,22 292:3
295:2,15,21 296:5
296:21 297:6,14
299:6,16 300:2,9
300:15,21 301:17
301:21 302:9,10
303:14 304:6,13
305:13,22 306:9
307:10 308:10
309:7 310:5
311:15 312:9,22
313:4,9,15 314:14
315:17 316:1,12
317:2,9 319:7
320:3,13 321:5,9
321:17,18 322:17
323:13,19 324:3,8
324:9 325:10,17

- 330:22 332:1,5,14
332:15 333:18
335:14 336:2,5,13
336:14 337:15,21
340:1
Darral 2:17 170:7
170:14
data 69:2,6 168:5
175:4,9,13 176:2
176:11 178:16
179:13,14,18
180:2,8 182:4,15
182:17,21 184:13
185:1,2,2,11,20
185:22 186:12,13
187:9,10,13,15,17
190:4,9,11,14,15
190:16,17 191:14
191:18,20 203:1
205:12,13 207:7
207:13,22 209:21
210:5,6,19 211:3
211:9,9,11 213:15
213:19 214:1,15
214:16 215:3,7,9
234:15 244:20
245:3,21 246:1,15
248:5,9,21 249:22
250:2,14 252:4
database 203:3
247:12
databases 245:19
date 79:20 85:11,16
86:11 91:6 109:12
166:18 169:20
193:14 223:22
287:19
Dave 5:21 9:15,16
9:22 13:10,17
15:5 81:7
David 1:11,13 2:16
11:21 76:4 106:20
107:4 162:8
194:11 260:15
262:19 302:9
321:17 324:8
332:14 336:13
day 17:11 20:15
340:6
days 105:21 266:4
de 174:13
de-regulatory
112:14
deal 72:1 186:12
dealing 9:2 27:17
111:3 297:18
death 164:18
debate 145:9 147:3
315:14
decades 73:17
97:21
decide 38:10
decided 139:21
253:7
deciding 176:8,14
191:19
decision 54:8 176:9
236:11 319:10
decisions 17:18
156:8 185:20,21
186:6,11 244:19
247:19 252:5,6
254:3
deck 21:7
decorum 8:1
dedicate 17:10
dedication 17:21
deemed 216:14
deep 101:14
defects 92:12 93:20
134:8 160:12
232:14
Defense 1:15 57:21
81:4
define 231:15 309:2
defined 105:9
106:12 164:16
197:21 198:2
201:1
defining 48:12
51:20 316:4
definitely 52:9
63:20 125:13
144:17 286:10
definition 28:2 32:8
33:16 40:6 41:9
46:3,20 47:20
49:20 52:17 59:8
67:8 111:16 167:6
168:8,12,13
169:11 170:17
216:4 217:1,9
definition-related
50:4
definitional 47:6
49:16 58:2 73:11
74:1
definitions 46:16
48:18,20 56:17
58:22 66:15
197:16 232:10
308:15
degradation 38:5
114:9
degrade 203:2
degree 132:1
241:13
degrees 227:3,14
237:22
delay 8:5 99:5
155:9
deliberate 144:20
deliberation 335:4
delighted 15:14
deliver 49:7 55:6
delivering 40:13
delivers 48:16
delivery 46:5 98:19
demands 98:6
demonstrate 222:4
226:13
demonstrated
223:11
density 237:13,17
department 1:1,20
24:22 81:3,4
department's 24:9
depend 234:13
depending 23:4
48:5 89:16 267:7
depends 81:18,18
198:12
deputy 2:2 6:5 26:8
deregulatory 24:15
DERIA 2:9
derived 180:6
describe 104:15
235:11
described 100:18
130:19 231:6,10
232:22 268:12
296:16 316:8
describes 221:11
description 102:9
169:7
design 83:16,17
87:3 92:6 93:16
109:2,18 110:21
113:12 115:3
126:9 127:9 134:4
134:16 149:8
160:8 220:6,11,21
221:7 222:20
223:2,17,17 224:1
226:20 227:2,7,13
237:20,21,22
238:1 256:2 329:9
designate 52:14
Designated 2:4
5:18
designed 78:15
88:9 97:19 99:16
106:13 107:21
108:5 118:21
119:1 120:12
123:10 126:6
despite 18:15 199:9
327:17
detail 191:10
detailed 212:3
detection 282:17
283:18 289:6
292:17
determination
83:10 143:3 147:9
274:20 275:15
318:8
determine 54:13
68:6 297:5
determined 32:19
36:18 83:4 88:16
132:7 146:8 221:2

270:7 275:1 316:5 329:12	81:14,15 82:15 115:8 136:22 137:16,21 141:22 143:10 158:19 165:21 166:2 180:19 211:9 218:10 281:6 285:18,22 297:20 308:15 309:5 311:14 313:12 318:9	41:21 43:16 49:7 49:8 55:6 64:18 64:21 158:14 217:12	164:6 170:3 174:22 184:9 197:2,5 202:15 219:11 228:14 239:13 255:18,21 257:7,9,11 264:8 267:12 286:12 288:12 305:19 311:16
determines 89:1	differentiate 186:14	director 2:2 4:5 6:8 21:4 101:10 255:14	discussions 26:17 46:15 59:7 143:18
determining 54:18 55:11 105:10	differentiation 135:10	directs 38:17 232:16	disrupt 8:6 87:11
devastating 16:13	differently 100:21	disagreement 136:15	disrupted 5:1
develop 19:1 61:14 179:13 242:14,20 258:3 259:2	difficult 26:17 56:22 71:13 95:13 103:8 163:18	disassembled 95:11	disruptions 7:2 80:8,15 81:10
developed 222:12 243:15	dig 126:2,8 143:15 309:14	disassembling 82:15	disruptive 5:4
developing 26:10	digging 127:13	disassembly 95:19	disrupts 8:12
development 24:10 26:7 39:7	diligence 151:17	disclose 88:11	dissent 313:19 315:19
developmental 113:1	dimension 226:3	disclosure 253:14 255:15	distinct 27:18 120:14
device 68:2,2,3 265:7	dimensions 226:19	discomfort 65:3 255:15	distinction 120:20 120:21 208:17
devices 42:4 204:19,21	DIMP 29:3 42:10 43:2,18,22 44:3,6 47:4 49:12 60:12 65:6,7 66:18,19 68:15 71:20 198:15 199:4,6,9 199:13,17,19 200:13 201:4,11 201:13 202:3 203:22 204:16 213:21 218:7,18 218:21 228:2 240:6 243:17,20 253:13 254:22 255:6 259:11 269:4 270:2,16 275:14 276:1,10 286:16 294:8 314:19 315:6,7 318:10	disconnect 82:8 219:16	distorted 172:11
devote 182:20	direct 50:17 173:11 264:11	disconnected 8:13	distractions 8:8
diameter 173:22 223:2,3	direction 195:20	discovered 234:4	distribution 19:18 23:7 25:20 28:15 28:19 29:4 33:13 34:10 40:3,12 41:5,8,11,13 42:2 42:8,9 44:11,21 48:6,15,21 52:16 53:16,21 54:20 55:7 56:9,11 59:1 62:7 69:5 70:2,7 71:11 73:15 96:17 197:20,22 198:1 198:11 201:1,9 202:6 204:22,22 206:10 207:8 208:5,10 233:22 236:4 237:5 238:4 246:4 247:6 249:14 268:13,19 269:10,17 270:11 275:4 281:19 283:13 292:17,19 329:6
Diane 1:16 11:13 64:4 75:22 142:2 142:19 151:3 162:4 186:17,18 192:14 194:7 211:21 217:21 260:11 262:15 302:4 303:9 321:14 332:20 336:10	directly 21:21	disclose 88:11	
Diane's 192:14		disclosure 253:14 255:15	
didn't 62:4 69:14 128:4 136:21 139:19 142:11 154:14,16 159:5 212:21,21 220:16 267:12 320:10		discomfort 65:3 255:15	
difference 30:7,11 31:15 110:3 238:8 310:9		disconnect 82:8 219:16	
differences 222:4 329:9		disconnected 8:13	
different 22:22 23:1 23:3 27:20 28:11 34:9 39:17 72:4,4		discovered 234:4	

- district** 290:13
diversity 17:21
 22:21
divided 44:10
Division 61:22
 78:19 197:12
docket 7:14,15,19
 10:15,16 27:2,3
 232:19
document 37:6
 43:10 122:21
 123:19 222:16
 223:4,8
documentation
 92:5
documented
 273:22
documenting
 335:21
documents 37:3
 226:10,14 335:1
doesn't 109:18
 127:12 143:15
 176:1,2 231:7,18
 231:19 232:1
 287:20 294:19
 298:4,4 318:11
dogs 183:1
doing 74:3,4 92:17
 116:4,9 128:2
 132:10 134:21
 141:2 155:3,13
 156:20 176:13
 182:6 183:13
 187:16 247:4
 255:6 282:5
 283:18 286:19
 287:11 289:3
 300:10,20 310:19
 311:4 318:10
 326:10
dollar 32:1 168:16
 188:5 189:4
dollars 27:7 28:20
 28:22 29:3,5,13
 29:15,21 30:6,9
 31:13 32:3,10,13
 33:1,5,9,18,21
 34:3,3,14,15
 174:10 176:12
Dominion 2:18
 235:22 236:2,21
 236:21 238:3
don't 8:8 57:7
 69:13 75:20 76:19
 76:22 109:5,6,15
 112:13 117:15,18
 119:6 121:1
 122:14 125:21
 127:16 128:11,13
 132:6,7 137:15
 139:12 140:2
 142:16 144:9
 145:1,2 146:3,12
 146:21 149:12,17
 151:3 153:1,11
 156:2,14,14 157:4
 163:18 169:5
 174:20 178:12
 183:10 184:7
 185:1,10,12,21
 186:12 187:13,14
 189:5 190:22
 192:2 196:19
 212:20 217:16
 239:2,7 250:15
 253:7,17 254:16
 257:1 258:11,16
 284:12 288:5
 290:1,3 291:1
 299:12 300:6,7
 310:17 311:11
 313:11 314:10
 315:20 319:8
dot 10:13,14,14,15
 18:8 25:1,5,9,13
 243:22
DOT's 165:10
 268:16
double-check
 303:10
doubling 233:5
download 202:7
downs 92:19
downstream 39:11
 53:18,22 78:6
 103:9
Dr 12:2 76:7 102:2
 102:4 162:11
 193:20 194:14
 260:18 262:9,22
 302:12 321:20
 324:11 332:17
 336:4,16
draft 75:5 150:19
 159:19 193:8
 259:9 262:2
 298:14 301:7
 320:19 323:1
 331:15
Drainage 1:20
Drake 1:18 12:11
 12:12 76:12,13
 112:17,18,18
 124:4,6,6 133:1,2
 133:4,17 134:1,18
 135:4,9,16 136:1
 144:15 146:18
 150:15,16,16
 158:10,11,11
 159:17 162:16,17
 184:19,20,20
 191:6 194:19,20
 261:1,2 263:5,6
 296:22 297:1,1
 302:17,18 308:11
 308:12,12 321:6,7
 321:7 322:3,4
 324:16,17 333:2,3
 336:21,22
draw 199:19
drawing 120:20,21
drawn 27:1
Dresser 207:5
 208:13
drill 245:10
drive 178:3 190:7
 210:17 289:6
drive-by 282:18
driven 27:20 28:4
driving 188:22
drop 26:14 212:7
Drue 2:2 6:5 26:9
drying 99:2
due 90:6 100:2
 151:17 165:8
 206:8 231:20
 232:17 275:2
 316:20 323:8
 328:22 329:8
duly 278:18 335:19
duplicating 234:4
duplicative 41:17
 291:18,19,22
duration 85:20
 89:13
durations 89:12
-
- E**
-
- e** 3:9 109:22
e.g 293:1
eager 242:8
earlier 27:4 44:13
 72:7 107:20
 108:17 125:20
 141:7,15 241:17
 296:16 297:10
 299:14 338:14
early 215:5,7
easily 70:6 174:9
Eastern 196:8
easy 82:7
echo 290:9
economic 24:18
 38:18 87:15 282:8
edification 68:18
edition 37:4 79:6
 79:21 83:6,7 84:5
 84:7 85:4,5 88:10
 88:17,19 89:9
 108:1,6 221:2,2
 223:1,7 226:5
editions 78:18 79:2
 83:5 84:15 88:12
 89:7 220:19
 222:14
EDT 1:11
educate 131:2
 191:3,5
educating 217:4
educational 219:12
educator 191:7

- EFEs** 238:15
effect 58:6,15 61:2
 87:20 96:2 105:7
effective 75:8 79:7
 79:20 85:11,16
 86:11 91:5 109:12
 159:22 166:18
 199:8 223:22
 259:13 262:5
 301:10 318:18
 319:6 320:22
effectively 201:15
 275:14
effectiveness
 157:20 198:21
 207:18
effects 38:14
 168:15 188:4
efficiency 281:7
effort 7:22 8:20
 242:8
efforts 94:21 96:4
 186:9 200:1
 230:14 279:1
 339:18
eGov 10:14
either 37:4 40:15
 46:1 60:12 63:21
 71:20 82:1 121:22
 123:12 154:6
 217:11 220:16
 231:21 309:19
element 27:17
elements 27:18
 198:17
elevations 174:6
eligible 25:11
eliminate 41:17
 173:6 206:5 269:1
eliminates 206:15
eliminating 49:14
 50:12 167:21
elimination 38:3
Elling 2:16 104:5,6
 104:7
Elliot 6:4 26:8
Elliott 2:1 15:2,6,9
 20:19
- emergency** 38:15
 165:1
emissions 94:21
 95:2 96:4 98:14
 98:18 247:5,11
emphasis 280:9
employed 68:9
 267:8
employees 87:8
employment
 314:17
enabling 279:1
Enbridge 1:18
 112:19 124:7
 133:4 150:17
 158:12 184:21
 297:2 308:13
 321:8
encompass 166:22
encourage 20:7
 281:8
encourages 230:17
 287:6
endeavor 183:15
ended 32:2 269:13
 305:20
endpoint 46:3
ends 29:3,20 62:11
 148:13
energy 1:21,22,23
 2:17,18 16:22
 17:8 24:17,19
 35:1 36:15 48:11
 81:4 98:18 100:3
 159:8 166:20,21
 173:16 235:22
 236:2,21,22 238:4
enforced 201:15
enforcement 42:21
 43:1,20 58:8 81:3
 145:11,13,17,22
 147:4 267:2
 284:11
Enforcing 24:12
engaged 326:2,13
engineer 235:22
engineering 87:16
 96:9
- enhance** 20:9 37:2
 267:9 278:21
enhanced 272:17
 310:3
enjoy 338:5
ensure 6:11 20:6
 39:3 89:2 92:12
 93:19 134:7
 160:11 167:11
 169:12 203:6
 208:19 225:22
 242:17 265:9
 272:20 273:10,20
 275:4 277:6
ensures 84:21
 168:21
ensuring 101:12
entertain 193:2
 311:22 319:12
entire 114:13 190:6
 318:2
entirely 47:15
entities 41:15
 190:15 216:20
 218:10 224:15
 241:10 266:5
 270:21 328:4
 329:18
entitled 4:10 24:12
 24:17
entity 113:17 218:4
 218:17
entry-level 171:15
enunciating 129:14
 129:15
environment 16:10
 16:15,21 20:11
 73:22 74:8 118:3
 171:19 272:12
 307:2,4 314:7
 316:21 323:9
environmental 1:15
 57:21 81:3 247:16
 247:17 268:6
 272:15
environmentally
 17:7
environments
 314:9
- equal** 108:3,7
equates 29:13
 33:18
equating 172:5
equipment 2:16
 47:1 49:4 68:3
 78:5 94:18 95:10
 96:3 98:16,21
 99:4,11 100:11
 101:12 103:9
 104:8 105:5,12,18
 106:8,12 118:12
 118:18,21 119:6
 119:16,19 120:9
 120:12,15 123:18
 160:19,19 173:21
 174:5 207:5
 282:19 285:19,19
 288:2 289:1,7
equivalent 71:22
 83:4,11 84:6
 88:13,18 108:4
 222:5 223:12
 226:14
Erin 2:19 278:1,9
 282:2 290:9
Erin's 281:16
error 110:2
especially 91:1
 110:13 155:19
 156:9 163:18
 204:22 219:2
 280:14
essence 116:20
 117:13 308:6
essential 17:1 18:4
essentially 65:13
 95:10 104:16
 129:15
establish 24:14
 25:18 49:1 170:19
 182:5
established 24:6
 45:18 70:17 173:4
 180:10 227:3
establishing 42:15
 274:9

estimate 32:9 69:17
70:8
estimated 28:17
29:10 30:18 31:6
31:22 33:4 34:1
44:8 328:18,21
estimates 27:5
30:22 31:4 32:11
166:3
et 25:21 34:11
121:9 167:3 250:6
evaluate 83:3
157:22 198:21,22
203:5 220:18
227:9 275:18
276:2,7,9 277:3
284:6,12,17,19,21
285:4 291:11,17
293:13,16 294:3,9
294:19 296:3,10
297:3,9,11,16
298:5 306:13
307:5,12 308:5
evaluated 83:12
85:5 312:6 323:6
evaluating 221:18
296:14 297:13
evaluation 75:6
114:10 150:19
159:19 193:8
249:18 259:10
262:3 267:10
275:20 292:2
298:14 301:7
306:15 320:19
323:1 331:16
event 119:8 164:17
events 18:21
171:21 172:8
191:11 206:3
everybody 123:14
128:18 138:2
145:19 158:4
215:5 291:21
319:1
everybody's 149:4
everyone's 129:17
everything's 308:8

evidence 272:11
280:19 291:13
323:7
evolved 19:13
exactly 188:21
253:16 265:20
277:1 298:22
301:15
examinations
83:19
example 66:1 94:19
100:9 143:13
174:8 192:8 226:7
241:18 253:19
268:1,15 286:21
examples 198:4
217:13
excavation 233:13
328:22
exceed 274:21
275:16 326:4
exceeding 68:5
89:3 99:19 110:21
271:22
Excellent 67:13
exception 44:6
202:2 241:15,18
241:19 317:13
exceptions 45:3
exchange 40:19
exclude 46:19
106:12 201:8
excluded 270:12
excludes 327:8
excluding 31:21
46:8 47:12,13
164:21
exclusions 200:19
200:22 201:8
excuse 14:22 75:8
83:8 234:10
executive 24:2,3,11
24:12,16,21 27:1
39:5 319:9
exempt 43:18 44:5
64:20 65:1 66:18
66:19 68:16
200:13 201:22

203:9,21 218:7,21
exempted 41:20
65:10 67:18 68:15
exempting 65:6
67:3
exemption 65:17
241:19
exemptions 65:4
201:13
exercise 42:21
60:11 279:7,8
exist 54:16 56:18
176:2 272:13
existence 198:6
existing 32:17,20
42:10 44:6,17
86:16 91:14 92:3
92:8 98:5 99:6
100:12 109:19
111:8,22 112:8,12
126:3,18 127:11
128:1 139:7,10,17
143:14 149:11
200:4 203:9 256:3
256:15 267:1
272:10 276:7
277:4 281:5
292:20 293:18
294:17
exists 129:16
exit 32:21
expanded 309:1
expansion 307:14
expect 4:21 87:21
88:2 92:21 93:1
134:15 192:6,8
245:21 246:7,10
246:16 295:8
expectations 24:6
expected 38:5
90:15 93:11 160:3
249:22 266:11
expediency 22:9
expensive 178:12
287:14
experience 29:19
84:22 101:18
199:5 242:6

experiences 16:16
expert 202:20
expertise 103:22
146:9 216:21
experts 23:3
103:22
explain 148:16
313:4
explaining 67:14
explanation 37:5
125:4 148:13
explicit 38:2 45:2
46:7 197:18
270:15 275:13,22
explicitly 46:19
265:1
exposed 87:8 268:1
268:8 281:22
291:12
expressed 252:18
extend 200:15
268:20 269:12,14
274:15 326:1,13
327:19 328:10,11
329:4
extended 328:20
extending 202:20
319:4 328:6,17
329:13 330:18
extension 179:19
extensive 102:17
extent 49:17 128:20
externally 172:5
extra 105:17 307:17
318:11
extractors 99:1
extremely 17:9
eyes 192:11

F

F 3:10
F-I 235:4
F2620 221:11,18
222:2,15 223:7,12
224:10,12 226:16
fabricated 3:15
14:11 22:20 88:9
107:22 108:5

- 327:1,9,11,15
328:7 331:18
fabrication 83:18
114:1,11
face 127:17
facilities 19:20 41:4
43:9 45:4,13,17
49:5 63:5,19 78:3
79:10 95:3,5,9
98:6 101:20 102:1
108:22 111:22
112:8,12 129:10
139:7,10 143:14
173:19,20 174:4
174:12 267:22
327:2 329:10
facility 50:13 62:6
78:13 86:11,17
90:6,13 99:7
103:1 109:1 111:8
120:16,18 121:18
124:1 127:11
134:10,15,21
149:11 165:2,3
174:3 271:5
fact 18:12,17 66:17
70:18 84:18 95:12
114:15 121:8
151:11 175:21
178:13 179:7
240:8 248:4
280:11 281:18
284:14 338:7
factor 78:12 79:9
83:7,8,10 84:4
85:17 88:3 102:8
110:16 220:7,21
221:8 223:2 224:2
226:20 237:21,22
274:4 297:21
factors 256:2 268:7
290:15 315:4
316:21 323:9
factory 338:20
facts 113:22
Fahrenheit 227:3
227:14 237:22
fail 232:1
- failed** 214:18
235:12
failing 214:2,8
245:13
fails 231:20
failure 3:9 14:8
22:13 28:2 33:3
33:10 83:16
110:20 196:17
197:4,13 200:10
204:15 205:9,20
206:5,19 207:4,7
208:2,16 209:22
210:20 213:2,18
214:6,20 227:19
231:13,15,18,19
232:11,13 233:1
233:14 234:2,11
234:11,18 235:5,9
235:12 240:13
243:5 245:3 250:5
255:4 262:4
failures 39:10
102:21 192:4
203:13 205:4,14
206:1,9 208:3
211:2 232:9
244:16 249:6,13
250:10
faint 161:18
fair 156:2,11,15
157:4 252:8
fairly 218:14
fall 283:7
familiar 6:19
fan 286:18
fans 295:8,9
FAQ 60:6
FAQs 43:7 46:22
47:12 49:18 52:4
56:5,16,22 58:3,5
58:14 59:11,16
60:4 61:14 62:3
62:12 63:17,21
72:6
far 13:22 48:2 63:4
82:21 136:7 138:9
171:20 231:16
- 286:11 306:13,17
338:15
farm 3:4 14:5 20:22
21:21 22:3 27:20
28:4,14,14,18
29:2,6,11,16
35:22 39:18 40:2
40:5,17,22 41:1
41:11,19 42:1,4,7
42:20 43:2,6,9,21
44:9,10,11,14,22
45:8,10,13,22
46:5,15,17,19,21
47:5,7,11,12
48:12,16,21 49:2
49:18 50:5,7,13
51:21 52:17 53:12
53:15 54:14,15
55:12 56:8,18
58:3,5 59:10,13
59:19 60:3,4,6,13
60:20 62:5,10
63:18 64:1,12
65:5,8,11,15,17
68:20,20 70:6,15
72:3,21 74:7 75:6
241:17
fashion 88:1
fast 67:21
fault 210:5
favor 201:7 258:12
297:3
favorable 55:9
favored 42:9
feasibility 157:19
feasible 75:7 100:5
150:21 159:21
193:11 259:12
262:5 298:17
301:9 318:17
319:5 320:21
323:3 331:19
feature 46:1 50:19
254:13
federal 1:22 2:4
5:17,18 18:7 25:1
38:18 61:11 75:3
75:5 81:1 89:21
- 117:2 150:18
159:18 166:9
193:7 242:1
247:17 259:9
262:2 298:13
301:6 304:10
320:18 322:22
331:15
feedback 224:21
326:20
feel 148:7 181:15
216:18 254:16,19
255:10 284:22
306:5
feeling 254:1
feels 232:8 280:8
280:13
feet 105:2 165:1
172:10 237:1
Feigel 102:2,5
felt 307:9
fewer 33:19 198:8
201:2,10
field 145:4 183:7
247:4
fields 234:15
figure 117:5,8
138:14 147:7
158:20 185:19
250:14 286:17
figured 254:13
file 232:16
fill 33:11 185:16
filling 257:17
filter 119:3
filters 169:4
final 23:14 41:16
54:12 60:2,15
85:11 125:18
126:20 141:20
167:12 169:12,20
172:22 173:12
177:4 187:4
193:14 205:14
220:4 224:1
272:14 273:16
284:18 330:19
338:16

finalized 43:4 46:4
 47:11 60:14
 170:20
finalizing 43:10
 151:20
finally 4:21 24:16
 50:2 222:14 224:7
find 188:8 211:16
 219:15 287:6
 289:9 308:4
 309:10 310:10,21
 311:1 316:14
finding 289:18
findings 83:9
 211:14
finds 65:20
fine 70:12 147:6
 181:7 296:10
 325:17
fingertips 180:21
 181:6
fire 338:19
firm 148:7
firmly 16:17
first 8:4 14:20,22
 20:22 24:3 25:1
 35:22 39:18 42:20
 49:9 53:17 54:1
 59:21 60:10 66:11
 78:1 101:13
 107:13 121:15
 132:19 133:18,21
 152:2,21 153:10
 168:14 177:15
 180:5,10 181:8
 188:3 189:16
 229:9 230:20
 239:8,17 247:2
 250:13 257:8
 277:15 282:2
 288:11 313:18
 315:19 319:13
 323:16,17,19,22
 323:22 325:19
 328:5 337:21
fit 133:10 135:18
 136:16 138:4
fitness 114:5 297:5

fits 114:13
fitting 3:9 14:8 28:2
 33:3,6,10 196:16
 197:4,13 203:13
 204:15 205:3,8,20
 206:5,9,19 207:4
 207:7,12 208:1,18
 209:16,22 213:2
 213:18 214:5
 227:18 231:16,17
 233:11 238:13
 243:4 250:10
 255:4 262:4 311:7
fittings 204:18
 205:18 214:2,7,22
 230:22 232:15
 238:16 245:12
 310:14 316:10
five 30:13 31:9
 32:18 111:11
 215:8 268:20
 269:16 274:21
 275:8,16 279:4
 280:6,21 281:1
 283:11 287:12
 289:13,13 300:6,8
 300:11 304:5,15
 305:7 307:22
 308:2 322:16
five- 310:2
five-year 31:18
 270:21 273:10
 277:7 281:3 282:3
 287:16 290:17
 291:3 297:11
 305:1 306:7 307:8
 311:20 312:7
 323:11
flag 148:11
flagging 148:21
flame 285:20
flange 82:7 104:18
 231:19
flanged 81:21 82:3
flanges 95:18
flare 106:6
flared 105:3
flares 98:14

flexibility 15:19
 71:18 72:18
flexible 326:8
flight 113:9
flip 152:7
flipping 152:14
floor 7:7 183:18
flow 60:17
fly 127:17
focus 115:19
 187:20 199:10
 231:5 240:9,11,12
 279:1 284:9
focused 16:8
 151:11 187:8,15
 208:20
focusing 199:22
folks 21:13 26:1
 115:1 122:15
 155:3,13 156:16
 157:3,5 186:22
 187:7,18 212:1
 216:14 217:5
 219:13,17 284:13
 317:22
follow 8:10 133:13
 213:13 241:2
follow- 62:16
follow-up 136:4
 210:10 256:18
followed 137:9
 234:6
follower 214:21
following 42:19
 43:15 50:10 53:11
 60:2 64:13 75:9
 84:3 92:2 93:9
 121:21 159:22
 164:18 165:13
 166:7 169:18
 193:12 197:4
 198:15 202:8
 228:1 237:10
 242:12 259:13
 271:8 276:18
 298:18 301:10
 309:16 320:22
 323:4,6 328:5

330:11 331:20
 335:6
foot 252:3
footprint 247:9
force 24:15 58:6,15
 86:15
forget 154:14
form 32:8 33:4,7,10
 70:7 88:1 197:4
 205:9 206:7,10
 209:2 212:1 214:6
 335:1
formalism 181:15
formally 333:22
 337:19
format 6:20,20
 326:8 334:20
former 182:2
forms 33:6 208:15
 209:5
formula 167:17,19
 169:21 193:16
 223:17 227:7,13
forth 152:1 153:3
 247:15
forum 338:9
forward 9:5 15:7
 52:18 56:3,4,13
 72:5 88:2 137:7
 137:11 143:12
 147:5 148:14
 190:13 252:13
 256:11,14 259:1
 264:5 295:7 335:3
 338:12 339:2,4
found 107:20 169:8
 172:7 204:16
 210:5 214:14
 268:10 271:9,12
 277:11 286:19
 311:13 312:5
 323:5
foundation 35:17
 99:15,20 100:14
 103:19 167:4
 243:14
foundations 100:10
founded 243:15

four 32:17 160:22
195:19 274:10
four-year 283:9
fourth 16:5 131:22
141:9 150:5,8
151:7 152:4
FRA 167:16,18
170:1 193:17
frame 287:21
framework 159:10
framing 253:1
frankly 74:6 138:15
189:1 247:18
279:18 288:3
308:2 310:8
Fred 125:3,6,8,12
140:1,1,8,11,21
141:4,7,12
free 95:14 110:8
183:5 202:7
Freedom 167:4
Freedomworks
35:17
freely 283:3
freight 16:7
frequency 30:5
166:12 268:21
269:5 285:12
286:11 295:6,11
frequent 168:7
270:5 283:15,18
293:1 315:5
frequently 43:6
58:17 60:5 279:21
314:21
front 32:15 218:5
218:16 258:21
298:8 300:22
311:17
fronts 9:11
Fuel 2:15 90:2
96:16 328:18
full 6:13,15 130:16
140:15 169:7
248:8 334:21
fully 46:15 47:8
65:3 88:12 121:1
151:14 152:10,13

153:4 154:3 161:2
182:6 241:11
246:16 279:14,17
280:10,20 289:15
function 40:15
functional 54:18
Fund 1:15 57:21
fundamental 297:4
further 60:20 61:13
72:12 88:22
125:17 126:18
132:16 141:19
170:21 200:19
245:11 251:13
257:8,9 272:18
fusion 204:21
221:12,15
future 20:1 37:8
50:2 89:15 104:2
166:9,12 169:22
175:12 193:16
202:17 203:8
207:16 208:8,12
209:4 219:4
220:21 227:10
228:7 244:19
252:6 253:21
293:12 330:20
334:13 339:3

G

G 3:12 234:2,18
264:1 298:7
G- 10:15
G-O-V 10:14
G5 234:4,17
G7 234:8,13
gain 252:5
gained 252:4
Gale 2:5 4:3,5
13:18 21:2,3
50:14,15 58:11,12
66:4,4,7 67:19
69:1 70:22 71:1
77:13,14,15
131:14,18,18
163:22 164:1
177:14,17 180:11

180:12,16 181:11
181:19 188:13,19
189:13 196:5,22
197:1 217:6,18,19
217:21 219:18
228:21,22 229:17
241:4,5 244:2,2
251:9,10 252:15
257:20,21 258:20
264:6,7 267:20
292:5,6 293:20
294:13,15,22
295:13 300:18,18
304:11,20 305:8
325:15 334:3,6,7
garbage 182:18
Gary 23:11
gas 1:4,10,18 2:15
2:19 4:8,11 5:15
8:17 9:12 10:6
17:4,14 18:2
19:10,17 21:18
25:20,20,20 26:21
27:12 28:16 29:4
34:11 35:3,6,7,10
35:11,12 39:13
40:9,13,18 45:6
48:10,10,15,16
49:7,21,22 51:12
52:3,12 53:20,21
54:5 55:3,6 59:6,9
59:22 60:3 70:2,6
73:14 78:4 84:19
90:2 92:20 96:10
96:17 99:22 100:4
104:9,20 105:3
106:1,5,8 113:4
115:8 119:5
164:22,22 165:2,3
172:4,9 197:22
198:1 200:17,20
201:1 206:9 207:2
208:4,9 217:11
222:8 233:22
238:4 247:5,9
268:8 278:11
325:22 329:20,20
gather 175:8 176:5

179:12
gathered 214:5
244:14 252:22
253:19
gathering 19:18
29:7,9,17 40:10
40:15 41:21 42:13
43:17 44:4,12,15
44:19 45:1,9 46:9
47:14 48:4,10
49:9,22 54:5,20
55:5 56:21 63:22
64:18,22 65:21
69:11 96:18 187:8
187:17 236:6
244:12 252:21
253:2
gathers 254:4
Gene 102:2
general 34:20
35:21 36:1 37:20
71:3 96:9 125:3
146:19 202:2
248:17 253:22
327:18
generally 36:2
47:19 179:15
207:3 224:15
274:1 327:2 328:4
329:5
generate 199:4
generically 251:7
251:11
gentlemen 230:7
genuinely 138:4
GERY 2:7
getting 21:5 78:7
191:18 215:6
243:8 251:6,7
252:12 253:6
288:1,4
Ginsberg 2:13
55:20,21
give 21:22 58:17
59:15 80:9 125:4
136:21 190:22
210:11,13 235:8
261:22 287:17

318:4,11 319:18
given 16:1 51:22
 56:14,19 66:16
 112:9,10 128:22
 247:20 300:7
gives 27:15 297:22
 308:3
giving 15:12 58:13
 185:13 307:13
Glass 2:15 96:7,8,9
 96:15
glean 248:6
gleaned 248:6
go 6:10 21:19 28:7
 35:20 40:1 57:15
 61:19 63:15 65:18
 71:9 75:1 87:20
 97:9,9 113:7
 121:5 126:7
 129:10 131:16
 133:16,18 143:7
 147:5 148:10,19
 154:21 158:7,9,13
 159:15 161:15
 162:2 164:7,12
 170:8 179:22
 188:14,19 190:2
 194:5 204:13
 209:9 212:21,22
 214:13 215:20
 216:3 230:2
 231:15 239:5,13
 243:10 244:7
 245:17 249:20
 250:20 252:16
 257:22 259:7
 260:7 261:20
 264:9 267:18
 272:1 277:18,19
 280:22 281:14
 286:12 287:16
 289:20 290:15
 291:1 292:6
 296:13 297:10
 305:10 307:22
 310:2,17 312:7
 316:22 317:3
 325:14,17 331:3

331:10 332:11
 334:4 335:17
 336:9,9,10,11
 338:12 339:3,18
goal 18:19 20:3
 46:7 187:21
 191:20
goals 18:10 272:20
goes 78:5 81:20
 118:9 148:2,9
 177:10 282:17
 285:21 305:7
going 11:11 13:13
 14:3,18 15:1
 21:22 22:2,7,8,22
 39:18,19,20 56:13
 56:20 58:16 65:11
 65:16 71:15 72:5
 72:22 73:1 75:22
 77:16,21,21 78:13
 82:5 88:2 96:1
 114:8 121:16
 125:2 126:10
 137:7,11 139:1
 141:1 143:12,21
 144:19 145:18,21
 147:15 148:3
 151:17,20 152:1
 153:15 162:2
 163:14 164:2
 180:14 186:13
 189:3 190:13
 195:18 196:15
 197:12 211:16
 215:19 219:21
 242:11 244:7
 249:7 251:10
 252:12 256:11,14
 263:22 278:7
 280:22 281:1,2
 282:9 284:14
 287:15 289:12,13
 293:11 296:5
 298:6 299:14,22
 300:6 305:5
 306:14 308:2
 311:7,12 312:11
 314:16 318:6

320:5,6,11 333:20
 335:3 336:9
good 4:3,4 9:18
 12:2,3,10,17
 15:11 20:16 51:7
 53:5 57:16,17
 68:6 81:6 89:20
 94:4 101:5,5
 106:21 115:2
 137:18 142:9
 147:22 170:7
 172:18 178:14
 184:12 192:16,17
 230:6 235:20
 238:6,7 242:21
 259:5 267:20
 281:17 289:2,2
 293:20 294:13,22
 305:18 311:10
 319:18 338:1
Gosman 1:19 13:5
 13:6 77:4,5 109:8
 109:9,10 127:1
 132:2,12 138:18
 138:19 140:5,10
 140:12 142:19
 149:1 151:8,12
 152:9 161:1 163:5
 163:6 175:3 178:8
 190:3,4 195:10,11
 213:10,12 215:14
 244:8,9 252:17
 255:20 256:19,22
 257:13 258:9
 261:11,12 263:15
 263:16 284:3,4
 291:7 293:16
 296:1 303:5,6
 305:16,18 307:11
 312:10,11 313:2,8
 317:7,15 320:15
 320:17 322:13,14
 325:4,5 333:12,13
 337:9,10
Gosman's 154:17
 293:22
gotten 212:13
 321:15 339:11

govern 45:14
governing 220:10
government 6:9
 35:14 53:7
Governmental 2:2
GPA 2:13 35:8 37:1
 53:7,9,14 54:7,10
 173:1,1,8
GPAC 5:18 52:11
 53:10 55:8 96:11
 157:17 189:21
 230:17
GPAC's 52:9
grand 29:19
granular 190:9,21
 244:20
granularity 245:4
grateful 15:22
gray 144:11
great 9:20 11:8
 14:2 19:22 51:10
 64:9 125:12,12
 185:8 192:18
 212:20 295:5
 299:21 336:5
 338:9,21
greater 85:1 171:20
 200:3
greatly 5:9 57:3
grew 187:2
ground 148:8 215:3
group 2:15 101:10
 103:22 187:2
 242:3
group's 334:15
grouping 14:14
groups 25:18 35:1
 35:14,16 79:22
Growth 24:18
guess 57:22 58:3
 65:1 74:14 129:13
 131:2 139:14
 177:4 182:1
 203:16 210:10
 216:7,17 217:10
 247:1 248:11
 249:3 252:17
 280:12 282:14

283:5,6 296:1
315:8
guests 6:2,2
guidance 39:7
43:12 267:2
275:20
guide 55:11 187:20
guys 5:8 278:3

H

H 3:12 264:2 298:7
H-I-T-E 53:6
hadn't 252:22
half 52:11
hall 15:16
hand 11:2 13:13
50:19,19 81:7
94:3 144:14,16
149:1 151:3 170:7
182:1 192:14
212:22 213:9
229:18 239:10
243:8 244:8 248:3
254:11 286:20
290:19 295:18
299:10 305:16
317:3
handful 220:2
handled 130:1
handling 60:13
102:22
hands 50:22 51:4
57:6 73:6 109:5
229:20 239:2
254:3 255:17
258:16 278:1
291:1
hang 63:9 95:7
happen 8:14
happened 116:20
136:7 155:10
182:10 252:22
happening 113:6
119:8 292:9
happens 311:6
happy 103:21
126:18 183:13
285:2

hard 16:4 17:11
80:13 128:22
180:3 252:19
253:15 284:11
harder 242:3
hasn't 119:17
122:19 233:3
274:4 289:21
321:15
haven't 141:10
210:5
hazardous 1:1
16:11 17:1 25:20
27:10 165:19,19
205:4 231:4
hazards 80:8,10
81:11 87:9
he's 6:7
health 16:10 38:9
hear 5:11 6:3 7:15
9:18 15:1 53:2
64:6 86:18 94:6
106:22 121:11
125:8 142:4 170:9
172:19 186:19
212:18 215:22
230:4 235:18
252:8 278:3
297:22
heard 13:19 22:1
63:13 120:10
121:6,8 122:14
141:7 285:11
286:12
hearing 15:8 193:1
255:13 340:8
heat 17:4 204:20
221:12,14
heat-fusion 224:8
heightened 126:5
127:14
Hello 104:6 186:18
help 19:5 20:8,10
52:10,17 67:21
99:6 113:9,20,21
114:14 119:5
124:17 175:20
186:10,14,14

242:8 243:16,19
243:22 244:18
278:13 288:6
314:11,11
helpful 104:1
112:21 187:20
312:21 318:21,22
helps 17:17 278:20
Hereth 2:15 101:4,5
101:9 107:9
108:17
Hereth's 118:9
hey 106:21 183:1
279:11
Hi 107:3 278:3
288:9
high 41:6 174:5
214:17 215:2
316:18
high-level 197:16
higher 103:4 109:2
167:21 173:18
329:11
higher- 270:11
highest 186:8
highlight 293:15
highlighted 256:5
hill 1:20 13:7,8
74:20,21,21 75:2
75:4 77:7,8 163:7
163:8 195:12,13
261:13,14 263:17
263:18 303:7,8
325:6,7 332:2,3,3
333:14,15 337:11
337:12
history 53:20 71:6
97:8,13 101:14
112:22 180:16
181:1 212:1
316:20
hit 11:1 184:21
190:3 231:21
233:10
Hite 2:13 53:1,2,4,6
172:16,18,21,22
hold 7:6 211:13
215:22 313:7

holding 57:18
homes 17:5 78:7
honest 188:20
honestly 254:19
282:7
Honorable 5:21 6:3
9:15
hoop 327:12,22
329:22
hope 20:19 27:13
56:16 63:5 67:11
215:12 219:3
248:22 340:2
hopefully 56:4
60:14 189:8
hospitalization
164:19
hour 31:10 32:13
33:7,9,11,21
34:14 196:3
hourly 31:8 32:11
hours 31:8 32:15
32:17 33:15,19
34:12 105:17
house 286:4 289:9
housekeeping 6:11
8:15
How's 161:20
Howard 2:1 15:6
HSB 101:11 102:3
human 38:8
humidity 268:7
hundred 174:10
hundreds 45:11
97:4 105:1,20
hurt 78:5
hurting 78:7
hydrostatic 84:4,6
88:16,18 108:2,7
118:6 227:2
329:19 330:3,15
331:22
hydrotest 97:11
99:13,21

I

i.e 48:4 311:2
I'd 6:1 8:18 15:5,18

- 15:22 28:6 34:19
35:20 59:14 66:5
69:8 96:10,20
109:10 119:18
133:5 171:4 193:6
209:17 219:5,9
257:2 298:11
301:4 308:22
309:5 312:8 315:9
315:14
I'll 6:10 9:14 10:2
11:16 13:22 32:5
71:1 75:14 76:19
77:1,20 120:15
188:20 196:20
197:7 203:12
229:4 260:2,8
261:22 262:13
264:7 295:6
301:20 302:3
306:11 317:21
321:8 324:1 334:2
334:4
I'm 4:5 5:13,17 6:19
8:4 9:7,22 11:11
11:20 12:14 13:13
14:18 15:14,15
16:4 17:20 18:6
25:16 31:5 51:11
53:6 57:14 63:14
64:9,15,17 65:1,3
65:7,15,21 66:1
66:12 69:1,11
94:6 101:9 107:3
107:4 120:19
127:15 129:13
131:2 133:7
135:10 136:5,6,8
138:20 139:1
140:1,2,8,11
141:4 142:7,16
149:1 151:2,6
152:17,20 177:9
179:6 188:21
191:6 192:16,16
197:10,12 203:19
210:15,16 213:6,8
216:5,7,17 229:19
230:7,8 235:21
242:15 244:17
255:13 278:6
282:14,22 286:18
292:6 296:5,10
297:2 298:1,5
299:9,10,22 308:1
308:8 310:1
312:11 316:16
317:8 318:1,5
320:11 333:20
336:9 338:7
I've 101:17 113:3
IBR 37:2,4 225:21
226:9,10
idea 28:12 80:10
248:13 317:4
319:18
ideal 57:19
ideally 318:19
identification 32:16
37:17 271:17
identified 38:1
55:17 123:9
205:12 207:18
246:10 269:21
270:14 271:4
272:8 273:2,4,15
275:12 304:16
308:21
identify 19:6 24:15
24:19 26:2 51:6
55:18 56:1 70:4,5
70:6 198:18,19
235:1
identifying 18:13
207:14
ignore 182:16
ILIs 99:2
illustrating 185:8
IM 32:15
imagine 111:2
184:4 280:17
impact 28:10 34:10
37:21 39:13 69:15
94:20 99:3 174:15
178:2 188:5 199:7
200:3 206:20
282:8
impacts 16:14
38:19 39:2 73:21
270:10
implement 198:19
implementation
199:8,16 242:14
242:21
implemented 69:22
implementing
42:11
implications 94:16
implied 47:20
implying 49:15
50:12
importance 74:4
176:1 182:3
important 19:22
20:4 26:6,13,16
40:5 56:12,19
74:1 115:15 117:5
118:10 138:1
149:6 151:16
155:15 159:9
176:5 190:10
219:8 238:22
247:8,15 248:14
252:2 292:1 293:5
297:15 335:16
importantly 126:11
181:1
impose 39:10 54:1
97:10
imposed 26:15
imposing 45:16
impossible 95:13
impracticable
119:12
impractical 90:6
105:14
impressed 17:20
impresses 264:11
improve 59:21
198:22
improvement 18:17
improvements
222:15 226:2
339:17
improving 20:11
248:2 279:8
in-patient 164:19
in-person 282:21
in-place 100:15
in-service 84:22
inadequate 205:16
inch 223:19 225:4,5
225:12,14,16
228:12,12 237:17
238:9,17
inches 220:15
221:6 223:3
226:21 228:13
237:7
incident 3:7 14:7
22:6 23:6 28:2
32:8 33:16,19,22
34:12 163:21
164:3,16 167:6
168:7,12 169:11
169:15 170:3
171:22 173:2,7,10
174:17 178:2
182:9,10,15,17
183:12 184:13
191:1,8 192:12
200:15 202:21
203:3,5,10 205:7
206:1,7 208:5,8
208:14 209:2
233:22 245:5
269:9
incidents 16:14
18:20 20:4 34:1
34:10,11 165:7
166:5 167:1 169:5
169:13 172:1
174:13 175:7,13
183:4,19 184:2
185:15 190:10,22
191:22 192:1
193:10 244:15
253:19 274:4
include 31:1 83:9
95:5 171:13
177:21 200:5,6
210:19 220:13,16

222:15 225:3,10
 268:14 304:21
 305:2 323:17
 334:19
included 16:9 35:1
 35:5 43:2,18,22
 64:19 102:2 113:2
 145:10 245:4
 291:10 323:20
includes 19:15 83:6
 83:7 98:22 103:16
 205:9 210:1 221:5
 270:3 294:8
including 25:6
 27:11 29:2 32:1
 60:7 67:2 83:16
 83:18 89:6 98:16
 101:15 103:2,20
 113:17 164:20
 177:7 185:11
 212:7 220:9
 222:11,17 278:14
 337:17
inclusion 294:2
inclusions 202:15
inconsistent 313:1
incorporate 36:22
 169:21 193:16
 222:22 223:6
incorporated 37:11
 79:5,20 89:7
 114:19 220:12
 227:4
incorporating
 173:9 221:3
incorporation
 36:21 145:14
incorrect 139:22
 232:12,16
increase 31:3 185:9
 226:19 266:20
increased 89:15
 173:6
increases 30:6,19
 31:13 174:12
 297:19
increasing 168:3
 171:16

incredibly 20:2
 74:1 247:15
 248:18
incremental 97:14
 168:7
incur 87:11
incurred 171:6
Independence
 24:18
independent 2:13
 35:9,10 45:6
 55:21 83:9 255:5
independently
 257:4,15
indicate 199:7
 208:11
indicated 42:22
 53:13 94:5 108:16
 141:15 173:7
 220:17 222:1
 276:8 338:14
indication 272:12
 316:9
indicators 179:8
individual 41:20
 266:18 278:18
 327:7
individually 36:7
 257:19
individuals 61:4
indoor 281:21
 286:3,7
indoors 268:2
induced 109:21
industries 103:2
 115:8
industry 16:7,13
 17:13 19:3 27:8
 30:21 34:22 35:5
 36:2,13 37:22
 38:12 48:18,22
 49:5 54:2 79:22
 97:21 98:20
 101:18 103:5
 115:9 128:6,21
 145:2 155:21
 166:15 172:4,11
 176:22 202:19

207:21 222:16
 224:15,19 225:21
 230:10,13 247:9
 265:14 266:21
 270:21 284:10
 318:2 326:17
 328:4,14 329:17
industry's 18:16
inert 99:22 329:20
infer 210:7
inflation 165:8,15
 166:17 167:10,12
 168:20 169:1,3,19
 170:18 171:1,21
 173:4,11 175:5
 193:13
info 21:12,15
inform 17:17
information 21:11
 21:15 22:1 23:22
 39:3 158:1 168:17
 175:9,19 176:5,13
 176:20 183:8
 184:7 187:1,5,8
 188:6 191:1,15
 205:10 206:7,19
 206:22 208:11
 209:15 210:12,12
 210:13 211:4
 212:7,12 213:14
 215:11 217:16
 237:10 241:10
 244:11,14 251:2,6
 251:14,16,18
 252:20 253:1,2,6
 253:10,15,20
 254:5,9 284:15
 312:21
information-gath...
 211:16
informed 185:21
informs 246:1
infrastructure 25:3
 25:5 27:2 42:17
 67:5 286:20
INGAA 2:12 35:8
 51:12 103:18
initial 109:19

121:19 127:10,10
 149:9,9 188:22
 307:13
initially 240:1
initiate 72:13
initiated 37:16
 42:19
initiatives 157:18
injuries 172:9
injurious 92:12
 93:20 134:7
 160:11
injury 164:18
inlet 68:12
innovations 226:1
innovative 19:2
input 17:16 20:8
 147:16
inside 281:21 286:3
 307:2
insight 179:1
 207:16
insights 248:7
inspect 31:9 42:3
 91:2 92:10 108:11
 122:3 154:7 265:7
 266:1 267:4
 275:21 291:11
 294:18,19 296:14
 310:17 323:10
inspected 44:1
 68:4 93:18 97:20
 98:10 130:10
 134:6 160:20
 224:8,9 264:14
 265:5 268:9
inspecting 83:18
 297:12
inspection 28:22
 29:12 30:5,12
 31:7,20 32:1
 42:12,14 43:19
 44:17 83:22 90:10
 90:14 91:4,9,9,11
 93:11 101:1
 102:13 103:12
 113:19 115:5
 118:5,7,15,16

122:6,18 123:17
 123:22 127:10
 129:12 133:8
 149:9 151:21
 153:2 158:16
 160:3 171:14
 199:7,17 206:14
 206:14 221:17
 246:3,3 249:20
 264:21 265:3,8,18
 266:7,11,15,19
 268:20 269:2,8,15
 269:22 270:13
 271:11,20 273:7
 273:11,13,20,21
 274:2,19 276:5,20
 277:8,10 278:22
 280:5 282:17,21
 283:9 285:3
 289:14 294:5,11
 305:1 306:8
 310:19 323:7
 329:9
inspections 17:12
 31:12 119:16
 245:9 264:17
 265:16,20 266:9
 270:5,22 273:9
 278:19 290:17
 298:20 299:5
 301:13 314:20
 315:5 321:4
inspector 91:11
 199:9,22 245:9
inspectors 91:18
 183:7 199:15,18
 206:13 207:1
 250:9
inspects 86:1
install 117:11 171:7
installation 86:4
 90:7,13,17 92:11
 93:13,18 102:18
 105:8 106:11
 108:12 118:22
 120:16,17 122:5
 127:9 134:6 149:8
 160:5,10 234:7

327:3
installations
 135:20
installed 85:10,15
 86:10 87:19 92:16
 102:14 103:12
 107:17 109:20
 117:8 126:3 174:4
 251:3
instance 103:15
 180:10
instant 170:18
institute 2:16 35:7
 35:13 59:13 107:5
 222:13 225:20
instructions 8:10
 208:15 209:5
 231:13 232:10,21
instructors 183:6
insufficient 205:15
intakes 160:18
integral 99:17,20
 116:21
integrity 32:12 40:3
 41:17 42:2,15
 84:10 94:16 97:6
 130:10 160:20
 197:20 243:14
 246:5 249:14
 254:2 271:14
intend 62:4
intended 49:11
 84:9,11 87:14
 90:16 99:15 116:3
 120:8 135:5
 136:10
intent 47:2 115:17
 116:11 123:10,14
 123:15 129:9
 138:12 174:17
 276:4 294:3,10
intention 145:18
 313:5
interest 64:1,1
interested 298:1
interesting 114:22
 315:9
interfere 70:17

interference 191:9
 304:10
interferes 45:17
interim 119:11
intermediate 89:6
internal 99:20
 326:2
internally 172:4
international 2:3
 6:9 115:2 146:8
internationally 81:6
 97:20
internationally-
 89:19
interp 218:1
interpolate 227:13
interpret 58:16 72:9
 116:8 139:3
interpretation
 102:8 116:3,21
 117:12 136:18
 137:1 143:11,12
 216:9,11,12,19
 217:1,4,15 219:9
 219:12
interpretations
 137:22 219:2
 267:1
interpreted 105:9
 143:19 177:20
 264:18
interpreting 124:15
interrupt 8:8 63:15
Interstate 51:12
intertwining 279:3
interval 31:19
 268:20 269:2
 270:14,22 271:3
 271:22 272:6
 273:2,8,11,13
 274:2,9,19,21
 275:7,9 277:8,10
 290:17 291:3
 304:4 305:1
 307:14 308:6
 317:1,18 318:12
 326:11,13
intervals 285:3

intervention 73:9
interview 269:15
 273:20
introduce 6:2 10:20
 13:14 15:6 99:5
 100:1 231:8
Introduction 3:2
introductions 15:3
inventory 212:10
 246:13
investigate 249:5
investigated 255:8
investigating 183:4
investigation
 200:10 240:13
 249:12
investigations
 17:13
investing 247:22
investments 248:1
invite 21:12
involved 18:13
 20:14 214:19
 215:1 233:7
 338:22
involvement 338:9
IOGAWV 46:18
ionization 285:20
IPAA 29:8 45:12
 46:13,18 56:2,7
 69:6 70:14
iron 246:13 290:14
irons 338:19
isn't 70:3,5 183:16
 240:4 241:13,15
 241:17 248:21
 327:4
isolate 80:16
isolated 104:20
isolation 53:17
 54:1 123:6 130:12
issuance 60:2
issue 20:22 47:9
 51:2 52:2,5,10
 60:4 71:12 72:15
 87:14 111:2 125:5
 130:15 131:13
 132:4 137:10

141:12,16 146:5
 146:12 151:13,18
 151:21 152:10
 157:14 161:2
 164:2 165:9
 174:22 182:11
 184:8 202:13
 218:8 219:8 221:7
 225:11 227:9,11
 229:8 239:9
 241:17 254:18
 255:2,18 257:6,12
 284:5,21 293:5
 294:2 306:22
 308:22 330:20
issued 116:5
 145:14
issues 4:19,22 16:2
 18:14 19:6,7
 21:10 22:17 23:8
 23:11 27:10 46:16
 47:6 49:16 50:4
 58:2 72:1 73:5,12
 74:1 95:20 124:16
 132:10 142:22
 159:3 168:5
 175:21 186:1,3
 197:6 209:4 213:1
 222:19 228:18
 229:1 238:20
 239:3 256:5
 257:15 288:2
 289:18 293:5
issuing 61:11
it'd 59:16
it'll 7:19
it's 7:16 9:3 10:14
 15:11 16:16 17:22
 19:22 26:6 30:1
 48:5 56:19,22
 57:20 58:20,21
 64:11 67:2 71:5
 71:10,13 72:14
 73:1 77:17 78:7
 81:1,21 82:6 85:2
 92:16,18,22 98:6
 107:7 112:10
 114:9,10 115:3

117:19,20 118:10
 118:21 119:1,21
 124:12 125:3
 127:6,7 129:8
 130:7,11 132:6
 135:18 140:17
 144:7,9 146:13
 149:6 151:16
 156:2,11,13,14,15
 157:4,6 171:9,12
 176:4 178:10
 180:2 181:12
 183:9 184:4,15
 187:15 212:5,9,11
 213:16 216:6
 219:7,11 226:4
 231:20 234:12,22
 248:15 252:1,19
 253:5,15 254:15
 261:16 279:11
 282:5 284:11
 285:4 286:3,6
 287:7,7,16 290:2
 291:18,19,19,22
 291:22 292:1
 296:12 297:15
 299:21 300:7
 304:7 307:3,17
 308:1,19 309:4,13
 309:17,22 310:20
 312:4 314:6 316:6
 325:12 329:3
 337:13 338:1,5
item 195:20 224:18
 224:19 248:12
 326:17,20 328:15
items 6:11 8:15
 19:12 239:14

J

J 1:18 2:12 3:14
 80:21 85:19
Jagger 2:10 164:12
 257:22 305:9
jeopardize 298:4
job 10:4 107:10
 185:8
John 2:5 4:4 5:12

7:4 8:16 13:18
 21:1,3 39:22
 50:15 51:4 58:12
 59:17 66:4 67:16
 71:1 74:14 77:15
 77:19 131:18
 153:18 164:1
 180:12 196:21
 197:1,9 217:19
 219:22 228:21
 241:5 244:2
 251:10 257:20
 258:18 264:4,7
 267:19 277:18
 292:5 294:14
 300:16,18 304:6
 304:18 334:5,7
join 16:1 204:19
joined 76:19 163:1
joiner's 221:19
joining 5:15 16:6
 208:22 221:11
 223:5
joint 18:14 205:22
 206:12 208:15,18
 214:19 221:19
 231:13,14,16
 232:5,8,11,13,22
 233:1,7,14 234:2
 234:10,17 235:5,9
 235:12,12 245:3
joints 208:4,21,21
 221:12,15 224:8
Jon 12:20 63:1,11
 63:14 76:19 163:1
 261:7 263:11
Jonathan 1:14
 195:6 303:1 322:9
 324:22 333:8
 337:5
judge 172:3
judgment 317:19
judicial 140:7
July 79:7,19 107:17
jump 125:4 177:19
June 26:20
jurisdictional 47:1
 54:5 73:11 91:19

jurisdictions
 283:16
justifiable 54:3
justification 190:8
 276:1
justified 45:8
 175:18 221:4
justify 88:8 97:6

K

Keener 2:7 23:5
 177:18
keep 4:19 7:12
 59:20 75:21
 113:10 119:6
 138:2 155:16
 186:5 195:5,18
 252:2
keeping 174:16
 206:21
kept 122:7 189:4
key 17:15 71:17
 98:12 119:12
 138:8 230:20
kick 9:15
Kieba 2:8 23:10
kind 28:8 107:6
 112:22 113:10
 116:1,14 119:4
 133:7 135:17
 136:9 137:17
 146:10 156:13
 179:15 182:2,13
 182:19 184:6
 186:4 191:1 202:8
 239:4 242:1
 253:14 254:19
 279:2 297:20
 305:5 308:13
 317:12 319:9
Kinder 2:14 94:6
knockout 98:4
know 6:7 15:20
 16:20 68:22 69:1
 69:10,13 95:17
 112:5 126:7,14
 127:4 129:20
 132:13 137:8

140:3 141:2,20
 143:3,12,13
 144:10 145:1
 146:1,3 147:6,11
 147:15,19,20
 148:2,3,8,12,14
 148:15,17,19
 151:4,16 155:2,22
 156:4,13,21 157:6
 176:8 177:5 179:6
 179:9,11,13,19
 181:5 183:15
 185:12 186:3,4
 191:13 212:9
 214:4 217:22
 218:2 239:13,19
 239:21,22 240:1,4
 241:15,16 242:12
 242:16,16,18,19
 242:20 245:18,22
 246:2,7,12,14
 247:7,8 248:15,17
 248:21 251:1,2,7
 251:20,22 252:11
 252:12 253:5,13
 253:16,17 255:3
 257:1 267:12
 279:2,3 280:2
 282:18 283:1,3,12
 283:13,14,16,20
 283:22 285:19
 286:11,12,16
 287:3,5,6,8 288:5
 297:19 300:6
 304:2 306:22
 312:21 314:8,10
 317:2 318:22
 319:8 325:12
 338:18 339:9
knowing 251:22
knowledge 104:1
 198:18 216:20
known 35:8 156:3
 156:12,22 168:5
 230:9
Kochman 2:2 6:8
Kurilla 2:19 278:2,3
 278:6,9

L

L 200:6 240:10
Lab 107:20
labeled 236:11
labor 31:8,21 33:8
 33:20 34:13
 105:18 167:2
 171:14 283:1
Laboratory 83:2
 274:18
Labs 102:10 137:14
lack 63:3 253:18
lacking 38:2
ladies 230:6
laid 187:7
landlords 216:16
landowner 70:20
landowners 40:18
 45:16
Lane 2:18 229:18
 229:22 230:7
language 49:14
 50:12 75:20 92:2
 138:22 140:16
 149:5,7,14 151:21
 152:4 153:9,16,19
 161:16 162:3
 175:15 194:6
 260:9 262:14
 266:1 276:8 277:4
 281:5,6 291:4,9
 293:19 300:3
 304:13 305:6
 312:14 313:13
 321:13 334:18
large 80:6 87:10
 173:22
large-scale 173:18
 173:20
largely 189:2 254:3
larger 220:14,16
larger-diameter
 220:20
largest 101:11
 210:22
lastly 87:13 89:18
 118:10 317:8
 339:7

lasts 311:4
late 156:13,14
latest 37:4 225:22
 226:5
Laughter 181:10
launchers 123:4
 160:17
Lauren 13:20
law 1:19 65:20
 141:10 143:3
 144:10
laws 272:16
lawyer 144:17
lawyers 144:17
 146:16,19
lay 182:2
layer 307:18
layman's 219:10
layperson's 282:16
lead 77:16 179:8
 197:2,5
leading 264:8
 337:22
leads 240:17
leak 31:17 84:9
 97:10 114:5
 171:19 172:7,9
 174:9 183:22
 191:14 205:6
 210:12 231:6,9,14
 232:3,17 233:6,9
 233:10 235:9,10
 251:3 254:19
 255:7 274:10,12
 274:14 278:15
 281:19 282:16
 283:18 285:16
 286:7 287:11
 288:3,19 289:6
 292:10,12,16,22
 295:6,12
leakage 31:20
 268:22 269:6
 290:13 292:20
 293:5
leaks 95:17 172:6
 186:2 205:3,5
 206:8,21 207:10

208:9 210:20
 212:9 231:4,4,11
 231:12 232:5
 233:5 244:18
 246:12 247:6,13
 247:14 251:8,11
 251:19 255:1
 283:13 287:7
 290:4 329:1
learn 182:9 192:9
learning 187:10,17
leased 98:16
leave 284:21
 297:15 309:12,18
leaving 296:10
 297:3,9
led 18:22 39:19
 60:7 63:17 79:16
 180:9
ledger 38:20
left 248:7 293:17
legal 132:5 140:22
 141:8 143:2,2,5
 144:7,8 146:4
 148:3
length 198:8
let's 11:5 20:21
 21:17 51:5 57:8
 66:13 77:12
 163:21 195:22
 196:1 229:4 239:5
 239:8 257:6
 258:15,18 264:3,5
 264:9 305:13
 315:15,16 320:4
 322:18 325:11
 331:3
letting 55:13
level 36:12,18
 71:22 83:11 88:13
 89:15 97:14 108:4
 109:1,2 155:9
 222:5 226:15
 250:10 252:3
 319:1
liability 116:15
lieu 48:12
life 122:8 211:2

lift 80:13 82:13
lifting 122:19
light 50:7 93:6
 169:16 227:20
 239:17 276:15
 330:8 339:11
lighting 190:2
likes 258:10
limit 7:9 68:12
 83:17
limited 205:7
 327:18
limiting 68:2
limits 68:11 84:5
 88:4,17,19 89:5
 326:10
line 4:19 11:6 42:1
 43:16,17,17,21
 45:9 46:4,21
 47:21 48:2,20,21
 49:9,10,15,19
 50:13 51:20 52:1
 53:16,22 55:5,7
 59:1,1 62:6,10
 63:22 64:17,19,19
 66:12,16,21 67:1
 67:7,8,11 68:1
 69:9 71:10,11
 104:22 116:19
 123:6 130:13
 135:15 177:18
 205:1 233:9 237:2
 247:7 269:11
 271:10,12 277:20
lines 29:7,11,17
 30:13,14,19 31:1
 31:10 41:20 42:5
 44:3 45:2,22 46:6
 46:8,20,22 47:7
 47:10,13 48:13
 49:2 52:15 56:9
 57:2 59:5 64:21
 66:10 69:2,17
 70:4,5 84:19
 130:9 189:2
 204:22 268:14
 270:8,12 271:1
 273:14 275:5,10

280:18 292:17
 327:16 328:12
 329:6,7,11,14
liquefaction 173:19
 173:20 174:12
liquefied 165:2
 200:20
liquid 25:20 27:10
 165:19,20
liquids 78:4 92:19
list 83:15
listed 83:21 132:18
listening 155:1
litigation 126:15
 139:17
little 21:22 23:22
 30:1,7 34:18,20
 58:4 65:8,22 66:2
 66:8 69:4 79:11
 100:8 107:20
 109:11 120:7
 129:8 136:6 142:6
 144:18 161:18
 164:15 179:1,5
 186:14 209:17
 214:10 215:20
 242:3 247:2 252:9
 280:8 282:14
 288:11 297:17
 304:19 309:1,6
 310:8 311:6
lives 17:2
LLP 1:14
LNG 101:22
loads 99:21 205:16
local 28:19 41:10
 41:13 42:8 44:10
 61:2 198:1
located 94:11 174:5
 233:10
location 81:18 86:4
 90:7,17 93:13
 102:14,18 103:13
 110:9 120:11
 160:5 210:14
 231:9 232:3,6
 251:3 273:4
 314:18,22

locations 40:21
 110:19 174:6
 233:5
logging 56:2
long 30:1 183:18
 184:9
long-term 135:19
 169:12
Longan 1:20 12:1,2
 76:6,7 162:10,11
 193:19,20,20
 194:13,14 260:17
 260:18 262:8,9,21
 262:22 302:11,12
 321:19,20 324:10
 324:11 332:16,17
 336:3,4,15,16
longer 85:14 135:6
look 15:7 20:1
 26:12 56:4 71:4
 73:2 94:22 115:17
 130:3,4 133:6
 134:11 135:1
 141:14 143:7
 147:20 157:15
 182:7,17 191:17
 191:18 192:4,7
 210:20 214:1,6
 241:21 246:18
 254:21 281:19
 286:16 289:8,16
 295:6
looked 69:13 70:13
 83:20,22 113:14
 125:16 189:4
 211:4 245:4 248:4
looking 25:19,21
 25:22 60:16 64:17
 71:22 82:22 114:2
 114:4 134:3 136:5
 137:10 146:2
 151:17 176:19
 182:4 187:12
 204:6 210:4 211:6
 213:6 216:7 219:1
 219:8 239:18
 250:17 254:18
 255:5 278:12

283:22 286:6
 292:21 293:6,11
 339:2
looks 211:8 257:10
 258:17 335:16
lose 180:2 185:21
 187:14
losing 175:9 185:1
 185:2 186:13
 187:13 190:4
loss 164:21,22
 172:10
lost 164:22 336:10
lot 8:20 71:14,15
 74:5 82:15 94:15
 95:20 106:2 115:7
 116:10 117:7
 118:20 145:3
 147:1,2 159:7,8
 184:12 185:2,11
 185:13,15 186:22
 214:4 218:9 251:4
 251:15,15 281:18
 281:22 282:16
 308:14 309:5
 338:19,20 339:1,9
love 258:10
low 199:7 205:18
 207:15 270:7
 275:2
low- 329:6
lower 176:18 182:1
 198:10 288:3
 327:16,17 328:20
LPG 200:20,22
 201:3,5,9,19,22
 202:6,22 203:9
 204:8 228:4
luck 20:16
lunch 164:7
LVC 216:21

M

M 200:6 240:10
M-A-T-T 53:6
machinery 101:12
magic 179:2
magnitude 174:2

main 123:6 130:13
 212:9 236:4
 285:21 287:8
mains 270:11 290:5
maintain 7:22 26:4
 36:18
maintained 41:2
 275:5
maintaining 19:19
 36:11
maintenance 19:17
 94:16 100:11
 104:14 129:21
 135:14 160:16
 174:1 185:17
 186:2 200:5
 240:10 266:16
major 16:14 223:14
majority 13:12 17:4
 28:3 36:1 104:11
 313:19
making 8:19 63:11
 86:9 106:3 111:20
 123:13 151:9
 152:1,20 153:2,12
 153:13,15 161:7
 184:13 208:21
 221:12 240:1
 244:19
malfunction 266:8
malfunctions
 266:13
malicious 137:4
Mall 216:9,18
 217:15 218:1
 219:8
manage 138:8
 229:2 269:3
 280:17
managed 4:12
management 32:12
 38:17 40:4 41:18
 42:16 179:13
 197:20 198:17
 199:12,20 246:5
 249:15 254:2
 279:2
manager 96:9

107:4 170:14
managing 101:10
manned 106:9
manner 48:3
manual 212:8
manually 30:15
manufacture 80:19
 101:21 146:10
manufactured
 85:21 91:6 97:19
 121:17 251:4
manufacturer
 85:22 99:16
 115:20 119:15
 121:19 122:17
 124:1 214:18
 237:11,15 251:4
 251:15
manufacturer's
 91:13
manufacturers
 207:22 237:9
 238:5,12,13
manufacturing
 113:16 115:4
 205:10 230:9
MAOP 78:13 79:18
 84:18 85:1,12
 107:18 108:3,8
 109:14 110:4,5,7
 110:14,17 111:15
 111:15 127:21
 128:5,19 130:16
 138:22 327:22
March 9:3 42:22
 52:11
margin 114:6
marginal 248:20
mark 1:15 2:15
 11:12 13:2 57:15
 57:21 73:6 77:1
 101:4,9 107:9
 108:17 118:9
 120:3 129:4 163:3
 178:17 195:8
 209:12 246:20
 250:19 252:18
 261:9 263:13

282:12 289:1
 295:3,17 299:8
 303:3 322:11
 325:2 333:10
 337:7
Mark's 213:13
 284:4
market 32:21
markups 232:20
Mary 1:21 12:13
 76:14 161:8,9,11
 162:18 194:21
 261:3 263:7 290:7
 290:8 297:7
 302:19 303:20
 305:4 309:8 312:1
 313:6,9 317:2
 320:3,5 322:5,20
 324:18 333:4
 337:1
Mary's 314:5
masking 185:14
MASSOUD 2:4
master 3:9 14:7
 22:13 28:1 32:7,9
 32:14,17,20,20,21
 196:16,20 197:3
 197:12,14,18,21
 198:7,14 199:2,6
 199:10,14,16
 200:13,16,19
 201:5,13 202:21
 203:6,12,21 213:1
 213:4 216:4,6,9
 216:11,14 217:2,9
 218:3,6,8,12,13
 218:17 219:3,14
 219:20 227:18
 228:1,16 229:5,10
 229:12 239:8,14
 239:16 240:2,19
 241:11 243:3,9,18
 243:19 257:15,18
 258:7,22 259:10
material 115:4
 120:8 171:14
 179:20 232:14
 234:10,11 250:6

251:5
materials 1:1 16:12
 17:1 78:4 83:15
 167:2 223:20,21
 225:22 247:14
 330:5
Matt 53:5 172:22
matter 23:3,9 50:16
 158:9 187:13
 196:11 202:20
 218:3 238:22
 283:13 315:21
 340:11
matters 195:19,19
Matthew 2:13 53:1
 172:16
MAWP 89:4
Max 2:8 23:10
maximum 78:21
 79:3 84:18 114:7
 130:16 274:20
 275:7,8
Mayberry 2:4 5:12
 5:13 13:13,16
 15:4 124:19
 125:11 147:13,14
 163:13,17 195:22
 196:8 211:22
 242:9,10 245:15
 245:16,18 314:3
 315:13,22 316:6
 316:16 320:1
 334:2 337:20
McLaren 2:6 23:6
 39:21 58:12 59:14
 59:17 67:20 197:2
 197:9,10 204:1,3
 204:7,10,14
 209:20 210:18
 211:12 213:17,17
 214:12 217:8,9
 245:2,2 249:10,10
McMurray 35:4
mean 74:7 81:14
 116:18 127:4
 128:17 129:9
 141:10 142:16
 143:15 147:8

182:8 183:5 190:5
 190:5 191:13
 216:13 249:4
 250:13,13 307:12
 308:16,18,19
 309:14 317:7
meaning 127:17
meaningfully 20:9
means 97:22
 112:11 217:5,12
 235:2 241:22
 242:2 331:10
meant 209:18
 256:19
measure 198:20
measures 106:6
 198:20 213:22
 214:13 253:12
 270:6,17
measuring 78:11
 206:11
mechanic 185:19
mechanical 3:9
 14:8 22:13 28:1
 33:3,6,10 68:6
 196:16 197:3,13
 203:12 204:14,18
 204:20 205:3,8,17
 205:20,22 206:5,9
 206:12,19 207:4,7
 207:12 208:1,4,17
 209:16,22 213:2,8
 213:18 214:5
 227:18 230:22
 231:13,14,16,17
 232:8,22 233:6,11
 233:14 238:16
 243:4 245:12
 250:10 255:4
 262:3
mechanism 173:9
 212:3
mechanized 289:3
media 329:21
median 237:2,13,17
medium 97:3 100:1
meet 18:10 67:8
 93:16 98:6 110:20

134:4,15 160:8
 169:5 208:10
 271:18 276:1
 340:4
meeting 1:6 4:8,12
 5:2,3,20 6:12,13
 6:14 7:18,19,21
 8:2,6,11,13,17,19
 9:8 10:3,4,5,6,8
 10:11,16 11:1
 15:17,20 20:17
 21:10,12,16 27:13
 36:8 52:12 57:19
 168:13 181:4
 334:1,11,14,22
 335:2,19,22 338:1
 338:12 339:3
meetings 23:9,17
 334:13 338:5
 339:10
meets 92:5 164:17
member 11:11 53:9
 113:3 131:22
 132:2,12 154:17
 180:21
members 1:12 4:3
 4:14 6:15 7:8 8:2
 11:1 13:12 15:10
 17:22 21:3,11,14
 56:7 60:7 73:4
 74:11 101:7
 103:19 108:19
 109:6 131:12,19
 149:21 151:12
 152:9 154:2,2
 161:1 189:21
 203:17 209:9
 239:6 277:16
 292:8,10 293:9
 296:2 304:12
 305:15 312:18
 331:2,7 338:3
 340:7
membership 53:10
mention 8:16 98:22
 106:15 257:2
mentioned 8:17
 22:10 27:4 52:4,5

59:18 103:6
 108:16 118:19
 184:22 188:15
 249:14
message 129:1
 284:19 307:16
met 1:11
meter 3:9 31:1,9
 32:14 46:6 55:1
 110:8 197:21
 198:7 199:2,10,14
 199:16 200:13,16
 200:19 201:6
 202:21 203:21
 213:1 216:4,6,10
 216:12,15 217:2,9
 217:12 218:3,8,12
 218:13,17 219:14
 227:18 240:19
 243:18,19 259:11
 268:15 286:3,6
 288:17 289:8,19
 310:9,12,22 311:4
 311:14
metered 110:18
 198:1
metering 78:2
meters 14:7 22:13
 28:1 30:13,15
 31:3,5,5 32:7,9,17
 32:20,20,21
 196:16,20 197:3
 197:12,14,18
 198:14 199:6
 201:13 203:6,12
 213:4 218:6 219:3
 219:20 228:1,16
 229:5,10,12 239:8
 239:14,16 240:2
 241:11 243:3,9
 257:16,18 258:7
 258:22 281:21,21
methane 94:21
 95:2 96:4 98:14
 98:17 247:4,8
method 98:12
 166:12
methodology 37:21

38:14
methods 83:21
 91:11 95:1
metrics 172:2,2
MFF 205:13 209:11
 213:11 215:18
 219:21 228:8
 229:13,15,21
 244:7 257:16,19
 258:1,4 259:2
MFFR 230:1 234:16
 234:20 235:6
 245:3
MFFs 228:16
Michael 2:16 12:22
 77:1 104:5,7
microphone 7:2
 21:6 190:2
Microsoft 11:2
 50:20
Midstream 1:18
 2:13 35:9 37:1
 53:8,9,14 54:2,7
 54:11 173:1,2,8
mildly 274:5
mile 198:8
mileage 36:14
miles 96:16 134:13
 236:4,4,5
Miller 2:18 229:22
 230:1,4,6,7
Miller's 229:18
million 27:7 29:5,15
 29:21 30:5,9,19
 31:4,5,12 32:3
 165:1 172:10
 236:3 237:1
 328:19
mind 58:13 65:9
 120:7 138:2 141:3
 141:11 155:16
mindful 179:7
 187:11
mindset 179:16
minimis 174:13
minimize 7:2
minimizing 87:14
minimum 89:12

201:14 205:7
 220:9 221:5
 223:18 225:2
 228:10,12 236:12
 236:14,18 240:2
 259:16,17 319:1
minor 73:19,19
 166:22 171:21
 172:6 185:16
 186:1
minus 29:1
minute 64:14
 213:10 304:2
minutes 7:10
 164:10 196:6
 303:17
miscellaneous
 46:2 87:1 126:13
 223:15 225:6
missed 335:15
missing 249:8,11
 299:22
mission 16:20 17:6
 17:11 187:21
mist 99:1
mistake 122:15
mitigate 113:21
 270:6 307:7
mitigating 315:4
mitigation 186:9
 249:17
mitigative 270:17
mix 22:8
MMF 32:7 204:13
MMS 33:12
mobile 105:11
 106:12 121:9
 285:18 289:6
mobilize 183:6
modern 46:3
 113:16 288:2
modes 83:16
modification 25:12
 38:13
modifications 36:7
 230:15 234:1
modified 233:2,3
modify 228:10

258:1
modifying 107:16
 126:17 235:3
Moidel 2:18 235:16
 235:17,20,21
moisture 95:14
moment 6:3 7:3
 284:8
monitor 198:21
monitored 276:21
monitoring 3:12
 14:9 22:17 28:6
 30:4 249:16,21
 264:1,10 265:2,15
 266:20 267:8
 274:7 276:13,19
 277:21 298:15,19
 301:8,12
month 287:18
months 68:5
 237:12,16 271:17
 271:22 274:22
 292:12 326:3,5,14
Morgan 2:14 94:6
morning 4:3,4 9:18
 10:3 12:2,3,10,17
 51:7 53:5 57:16
 57:17 94:4 101:5
 102:10 163:15
morphed 73:20
motion 74:20,22
 150:15,17 151:4
 159:12 161:7,10
 161:12 163:11,12
 193:2,3,6 195:15
 259:6 260:4
 261:16,19,20
 262:11 263:19
 298:9,12 299:18
 299:20 300:1,14
 300:22 301:4,22
 303:13,19,20
 304:1,8 311:17,19
 311:22 312:1
 313:7 314:1
 319:13,14 320:6,9
 320:11,12,14
 321:8,10 322:15

322:20 324:2
 325:8 331:10,11
 332:4,6 333:17
 334:13 335:6,11
 335:17 337:14
motions 313:1
mounted 104:17
move 36:14 39:16
 46:12 47:11 60:4
 60:16,18 72:5
 76:19 77:1,12
 82:1,3,12 92:18
 119:7 121:20
 122:18 134:13,20
 163:21 202:8
 203:12 212:11
 219:21 259:1
 262:1 263:22
 264:5 267:15
 285:13 304:15,17
 325:11
moved 98:17
 106:13 119:2
 120:12,15 123:9
 123:22 283:17
movement 90:12
movements 59:19
moves 304:3
moving 7:12 9:5
 16:4 47:18 52:18
 87:9 195:6 233:19
 245:8 283:15
 290:16 317:17
multiple 36:9,20
 59:18 148:2,20
 266:3 318:16
multiplied 31:17
 33:20
Murk 2:16 106:20
 106:21 107:3,4
mute 7:1 133:3
 163:17 320:16
 332:11
muted 4:19 7:4

N

name 4:4 9:21
 51:11 53:5 94:5

96:8 101:9 104:6
 150:7,7 170:13
 172:21 230:7
 235:21 260:8
 262:13 278:9
 302:3 334:18
names 194:5
Nanney 2:5 23:8
 77:15,17,19,20
 81:17 82:20 86:21
 100:7 102:9
 107:19 121:5,11
 121:15 130:2,3,7
 131:8 133:21
 134:2,19 135:8,12
 135:21 153:21,22
NAPSR 35:15 60:8
 168:14 188:3,12
 188:18 189:1,18
 201:7 225:10
 273:5,19 274:8
 283:7 328:14
NAPSR's 189:10
narrow 56:14 94:19
narrowly 106:11
nation's 17:2 20:2
 20:11
National 2:15 35:12
 83:2 90:2 91:17
 96:10,16 102:10
 107:20 200:17
 207:2 328:18
natural 1:20 40:13
 51:12 96:17 104:9
 105:2 165:2,3
 172:4 238:4
 329:20
nature 73:14 121:9
 144:5 173:21
NDE 83:21
nearly 53:8
necessarily 329:3
necessary 7:3,10
 50:3 54:11 98:12
 182:11 187:17
 192:10 271:15
 275:7 276:3 277:7
 334:19

necessitating 164:19	134:13,15,20,22 170:19 180:3 184:4 216:14 221:4 232:21 234:3 238:11 271:14 292:1 306:18,18 308:19 309:13,18,22 310:12,13,22 311:4,14	315:1	number 7:15 9:11 10:16 14:5 30:8 31:18 33:12 34:4 49:16 69:2,13,17 92:4 93:10 120:10 148:4 165:21 166:4 174:11 178:22 179:2 180:6,9 181:16 199:15 220:5 231:3 233:5 237:11 245:6,7 248:10,11 250:8 251:4,8,11,15,15 252:3 286:22 295:7,7 339:2
need 14:15,21 21:13 22:11 50:21 63:20 85:14 100:9 100:13,15 104:13 105:10 124:22 133:10 138:14 146:20 147:11 157:12 186:8 199:21 217:3 234:12 247:19 250:15 252:4,5 253:7 258:11 306:17 338:12	newer 220:19 222:14 223:7 newest 280:12 newly 85:20 91:6 121:17 nice 107:10 nine 31:12 111:14 164:4 207:22 287:1 Ninety 287:2 nipple 311:7 no- 313:22 non- 54:4 86:13 non-application 125:21 non-hazardous 183:22 205:5 non-regulated 44:3 non-tubing 80:2 nondestructive 83:19 nonregulated 46:20 64:22 65:10 65:21 NORMAC 207:6 208:13,16 230:10 230:17,19 231:7 232:8 234:3 235:3 normal 171:13 209:6 normalized 215:7 normalizing 185:10 normally 78:3 80:11 81:19 82:5 130:11,15 219:14 North 243:7 288:10 301:20 Northwest 297:16	Norton 35:3 230:8 note 8:12 11:15 40:13 52:8 115:1 175:5 200:22 201:4 223:7 225:17 noted 45:12 59:2 77:22 81:5 115:2 166:21 226:4 265:22 294:5 notes 85:2 91:20 203:8 227:6,12 Noteworthy 97:18 notice 4:9 19:11 25:1,3,8,9 61:11 110:5 128:19 138:20 139:2,20 144:21,22 145:1,2 145:7 146:22 147:1 155:2,5,17 155:21 156:16 157:6 165:10 172:7 202:14 226:11 236:8,17 268:16 272:19 329:15 noticed 128:7 155:13 notices 182:11 noting 12:5 notwithstanding 154:17 November 220:6 334:11 NPGA 207:21 266:5 271:2 272:22 NPRM 26:20 27:9 34:4,22 36:16 37:13 43:14 44:8 46:2,7,12 50:8 64:12 68:19 93:7 141:14 169:16 227:21 228:2,9 264:22 276:16 292:7 293:14,18 330:9,13 NTSB 35:15 292:15	numbers 28:13 69:5 80:6 244:18 246:11 287:18 numerous 56:17 nut 214:21
needed 26:3,3 105:18 145:4 147:3 212:13 213:16 266:8 needing 65:5 219:6 needs 63:20 64:2 72:12 94:14 143:22 168:13 208:11 245:10 247:20 296:14 316:11 negated 97:16 negative 38:1,22 105:7 175:16,22 negligent 137:4 neighborhood 248:16 neither 18:9 40:7 199:21 312:20 nest 313:3 net 28:19 33:7 neutral 264:19 never 19:8 84:22 111:21 114:2 123:10 281:2 new 1:16 15:15,18 32:14,16,20 34:3 42:6,11,15 46:1 59:13 65:16 89:14 96:18 100:21 103:12,14 117:17 126:8 128:14 129:14 131:21			<hr/> O <hr/> O-V 10:16 O&M 60:21 61:8 Oak 83:2,3,9 84:2 85:5 88:10,15 102:10 107:20 114:8 137:14 object 225:16 328:17 objecting 225:16 258:17 objections 258:15 objectives 18:5 obligation 192:3 obstacles 25:4 obtain 321:3 obtained 237:10 obvious 8:5 obviously 132:1,6 148:15 241:6 246:17 318:21 338:4 occupational 16:10 occur 16:3 29:1 90:17 93:13 160:5 210:21 211:3

214:17 215:2	180:13 181:4	open 7:7 50:21	245:11 251:16
235:5 249:22	189:14 192:18	141:3 155:7 229:4	265:7 266:1,14
251:19 266:4,12	194:4 204:2,4,9	278:7	268:11 270:16
277:1 299:1	204:14 210:9,18	operate 41:6 85:9	273:8 285:14
301:16	211:18 215:19	97:4 103:3,4	291:10 294:18
occurred 26:18	216:2 217:6 220:1	107:18	317:20 318:8
184:22 292:11	230:4 235:20	operated 28:15,18	323:9
occurrence 280:3	244:7 252:7	29:6 41:10,12	operator's 65:12
occurring 250:5	255:19 256:13,21	42:8 44:10,15	91:10 273:20
Ocean 314:19	258:14,20 260:6	48:15 89:3	operators 19:5
OCTOBER 1:8	262:12 263:19	operates 96:16	28:15 29:5,16
odor 287:19	278:4 291:2	198:9	32:14 40:17 42:3
odorant 98:4 123:3	294:22 296:5	operating 49:4 87:7	42:9,13 44:16,20
odorization 67:2	298:5 300:9,13,15	100:17 114:7	48:1 49:1 52:14
98:13	300:21 301:4,18	130:15,20 200:7	54:4,13,17 55:11
odorized 41:7,9	302:2 303:12	309:11,14 327:12	60:12,18 69:6
offer 20:8 288:6	304:18 305:8	327:21 328:8	71:19 72:18 79:17
offered 281:9	308:8 317:5	329:21	85:9 87:4 88:2
offering 151:4	319:20 320:3	operation 17:7	103:20 126:2,7
172:22	321:12 324:5	19:17 64:1 68:8	183:17 185:4
office 4:5,6 21:5	325:19 332:11,21	92:21 93:2 106:9	190:14 192:3,6
38:17 61:21 71:2	older 233:11	232:12,17	199:15,19 200:21
125:3 218:14	285:20	operational 80:8,15	201:6,10 202:22
official 2:4 5:18,19	Oleksa 35:1	81:10 87:15 97:8	203:2,10 204:8
10:4 140:9	OMB 38:17 39:7	97:13 98:1,6	205:2 206:13
offline 11:15 12:6	on-demand 267:9	122:8 185:17	216:15 218:11
oh 14:22 57:15	once 18:1 29:1 42:5	186:1	219:15 227:12
123:14 149:1	50:5 68:4 73:18	Operationally	237:5 240:19
195:5 229:19	239:7 266:2	98:11	246:5,8,18 249:4
278:1 300:9 339:7	268:10 276:21	operations 87:11	249:15 250:9
Ohio 1:17 2:18	298:21 301:14	99:4 135:6 200:5	254:2,22 255:6
35:11 184:3 192:5	310:1 312:4 320:5	240:9 278:10	267:3 271:11
235:22 236:2,21	340:3	operator 30:16 35:1	276:9 277:6
Oil 35:10,11 45:6	once-annual	38:21 41:13 45:10	278:13,17 281:19
okay 11:18 13:16	266:15	47:9 49:7 55:4	282:6 284:14
14:20 39:15 51:8	one- 237:16	63:22 85:21 86:1	299:3 307:16
64:9,15 73:6 86:6	one-inch 236:14,19	86:15 87:8 92:4,8	318:1 321:3
86:21 94:9 96:15	237:4,6,13,19	92:10 93:18 97:6	326:10
106:22 107:3	238:16 259:18	98:2 99:22 100:15	opinion 131:8
121:15 124:19,21	one-third 288:20	108:13 111:7	338:4
125:9 131:10	ones 281:3 318:2	115:21 121:21	opportunities
133:21 134:2	ongoing 51:22	123:16 130:21	266:14
135:16 136:1	126:15	131:1 134:5,17	opportunity 6:16
140:5,10,12 142:7	online 6:6 174:11	160:9 164:21	6:22 15:12 51:15
145:20 152:3	onshore 268:8	174:14 192:9,11	52:21 96:11 101:8
153:17 159:17	onsite 97:15 99:8	199:22 222:3	104:3 172:14
161:14,17 162:1	108:14 119:10	226:12 231:3	230:11 234:21
172:21 178:6	121:20 129:11	232:4,16 233:4,9	235:1 236:7

238:21 278:8
oppose 201:12
 202:20 274:5
 299:14
opposed 36:9
 47:20 168:2,6
 207:6 239:22
 266:18 283:10
opposes 207:11
 274:2
opposite 284:19
opposition 319:12
 326:16
optimistic 164:9
option 91:1 100:6
 221:18 279:10
 281:9
options 313:12
order 8:1 10:5,5
 14:14 24:3,11,12
 24:17 27:1 39:6
 95:11 96:3 160:18
 238:10 289:10
 308:7
ordered 110:13
ordering 115:14
orders 24:2,22
 115:13 174:2
ordinary 312:12
organization
 242:17
organizations 29:9
 46:14 265:14
 272:22
original 139:21
 176:14 180:15
 234:20 272:2
 281:5 300:11
originally 236:18
 291:9
originates 40:22
originating 46:19
origins 24:1
OSHA 81:2
Osman 2:12 51:6,7
 51:10,11
ought 183:13 189:4
outages 38:15

outcome 313:20
 315:18
outdated 37:18
outdoor 286:6
outline 28:8
outlines 30:2
outreach 17:13
 241:8
outside 46:11
 47:16 209:3 215:3
 223:3 307:1
outweigh 102:18
overall 112:5
 206:11 214:15
 247:8,11
overarching 129:9
overhead 31:21
 32:1
overpressure
 83:19 84:13,17
 85:1 89:1,4
oversee 235:22
overseeing 254:5
oversight 247:19
overtime 183:8
overview 27:16
 59:15 61:5 113:9
owned 41:1 42:7
 63:5 71:5,6
ownership 49:4
 63:22
owns 63:19

P

P 197:19 200:14
P-H-M-S-A 10:13
P-R-I-M-I-S 10:13
P-R-O-C-E-E-D-I-...
 4:1
p.m 196:11,12
 340:11
Pacific 297:16
 325:12
packages 98:17
 104:17
packing 174:9
page 7:19 10:11
 21:16 70:14

188:12
paint 289:11 296:17
 306:16 309:4
 311:3,9
painting 310:16
Palabrica 2:6 13:18
 39:19,22 60:7
 61:16,20,21 62:20
 69:16 70:9 86:19
 197:5 220:1
 256:10,11,16
 293:17 294:1,21
 325:19
Palkovich 1:21
 12:13,14 76:14,15
 161:9,12 162:18
 162:19 194:21,22
 261:3,4 263:7,8
 290:7,8 297:7,8
 302:19,20 303:20
 303:22 304:18
 305:4 309:8,9
 312:2,3 313:11
 320:10 322:5,6,21
 324:18,19 333:4,5
 337:1,2
pandemic 9:3
paperwork 209:6
 279:7
paragraph 47:21
 49:14 50:11 75:10
 271:8,19
paragraphs 122:13
parallel 27:9
parameters 110:22
parks 198:3
part 17:15 19:4
 27:11 40:7,7,16
 44:20 46:10 48:15
 49:21 52:3 53:16
 58:20,21 62:8
 66:15 67:1 71:8
 72:2 73:10 79:14
 79:15 87:6 101:13
 107:14 166:10
 167:17 169:21
 185:6 193:16
 197:19,21 209:21

220:12 221:3
 226:1 230:22
 231:11 233:16,18
 234:2,18 241:18
 241:20 243:15
 251:14 253:12
 279:10 297:4
 317:16
participant 5:11
 9:19 23:9 63:6
participants 4:17
 6:13,16
participation 6:15
particular 54:21
 62:2 112:7 126:12
 128:9 138:22
 139:6 143:20
 144:6 184:8 253:9
 254:7 312:6
particularly 54:4
 56:10 168:4 180:2
 190:9,16 252:20
 281:21
parties 45:16 57:1
 70:17 147:2
 155:19,21
partners 241:9
parts 43:8
party 233:10
pass 116:19
passes 322:16
passing 49:10 55:7
Pat 118:19 123:8
path 92:20 114:4
Patrick 2:14 94:3,5
patrol 172:7
pattern 242:12
patterns 211:11
Paul 2:3 6:6 334:12
pause 18:1 172:17
 188:16 189:22
pausing 65:1
pay 183:8
paying 178:14
PE 221:15 223:2
 224:8 236:11
PE-2708 237:6,13
 237:17,20

Pearce 2:2 6:5 26:9	304:4	petroleum 2:13,16	167:14,20 168:14
pears 185:12	periodically 37:12	35:6,9 55:22	168:18 169:10,17
Pease 1:14	119:19 198:22	101:22 107:5	173:4,17 175:5,8
PECO 1:15 193:6	permanence 146:2	200:20	175:9,20 176:10
239:12 285:9	permanent 120:16	PHMSA 2:1,2,2,3	177:3,5,5 178:16
288:19 298:11	120:17 135:19,19	4:7,22 6:4 9:6	179:19 180:18
306:11	permanently 92:16	10:12 13:14 15:17	184:12 188:3
pending 52:2	permit 265:1	16:5,6 17:6,10	189:3 190:17
Pennsylvania	permits 167:3	18:9 19:4,14	191:18,19 197:10
35:10 96:19	327:6,10	20:21 26:20 27:4	200:12,14 202:12
people 16:15,21	permitted 223:13	27:5,9 28:17 29:9	202:16 203:4,8
19:4 20:10 113:10	227:13	29:15 30:18,21	205:2,12 206:4,7
116:10,22 136:20	person 258:9 286:8	31:4,6,22 32:11	206:11,22 207:19
136:22 137:8	340:4	32:18 33:22 36:15	208:16 209:3,14
138:4 216:8 229:7	personal 16:16	37:2,7,10 38:6	210:2 213:15,19
286:1 288:13	personally 25:16	39:1,7,9,11 42:19	213:21 216:18
296:13 319:2	255:2 258:11	42:22 43:5,9,15	219:17 220:4,17
people's 138:12	299:12	44:8,14 46:18	221:1,6 222:1,21
154:16	personnel 5:3	47:7 48:19 49:1,6	223:6 225:9,15
perceived 102:19	30:16 32:12	49:13 50:6,8	226:10 227:1,6,9
percent 30:20,22	persons 5:3	51:13 52:13 54:12	227:12,17,21
33:13 114:6 166:5	perspective 238:1	55:9 56:3,8 57:3	228:3 230:14,17
206:20 214:7	297:9	57:18 58:1,10	231:8 232:19
215:3 237:12,16	persuaded 250:19	60:8 65:2 70:20	233:16 241:2
287:1,2 297:19	275:7	73:10 75:18 77:20	243:15 244:10,18
327:13 328:1	pertains 156:9	79:5,8 80:19	245:1 247:16
329:22	Pete 184:19 188:17	82:21 83:1 85:2,8	248:4 249:1,9
perfect 135:16,20	188:19 189:13	85:8,16 86:6,8,13	253:6 254:4 256:6
perfectly 188:20	Peter 1:17 11:19	87:2 90:3,14	256:9 264:18
238:1,6	76:2 162:6 181:21	91:12 92:1 93:4,7	265:1,6,17 266:10
perform 30:11	191:15 194:9	96:11 100:19	267:1 269:8,12,14
100:15 104:13	254:10,11 260:1	102:11 104:1	269:19 270:1,7
105:18 106:3	260:13 261:20	108:10 109:17	272:4,17 273:15
171:10 266:15	262:17 281:15	110:2,10 111:12	273:17 274:8
271:19	302:7 321:15	114:18 116:2,13	275:1,6,19 276:6
performance 172:2	324:5 332:12	116:15 120:19,21	277:8 278:12
172:3,12 198:20	336:11	126:2 127:21	291:6,8 292:19
206:12,21 213:22	petition 86:22	128:8,13 129:1,16	312:17 315:11
214:12 238:20	111:9 126:12	129:19 130:1	326:12,15,20
253:12	222:9,18 223:10	131:3 136:9 137:8	327:19 329:12
performed 85:22	326:1	139:2,13,15,21	330:2,9,15,17,20
97:2	petitioners 25:22	140:3,20 142:11	337:18 339:8,12
performing 31:15	petitions 19:13	142:13 143:2	340:4
39:9 97:17 171:5	27:3	145:2,12 147:10	PHMSA-2016-0136
period 31:4 117:8	petrochemical	149:17 151:13	7:17 10:17,17
119:21 291:16	102:1	152:10 155:3,19	PHMSA-administ...
306:8 307:20	petrochemicals	161:2 165:12,13	201:20
periodic 170:22	103:3	166:3,6 167:8,11	PHMSA's 4:9 16:18

16:20 18:4,6
 36:15 37:7 38:16
 45:21 47:2 51:18
 53:11 54:8 86:12
 87:18 88:13,21
 90:8 91:8,16
 96:20 102:7
 107:14 111:5
 112:11 123:10
 143:6,12 144:4
 150:3 151:16
 157:18 167:8
 168:13,20 169:2
 169:14 170:16,21
 182:8 188:2
 201:16 203:4
 207:19 208:11
 209:1 216:7
 225:12 236:10
 266:10,22 272:4
 273:12 275:1
 276:1,4,4,11,16
 328:4 329:2 330:6
 334:11
phone 69:9 339:15
phonetic 59:22
phrase 209:18
physical 265:16,18
 266:7,11,15
 276:20 282:21
 298:20 301:13
physically 265:7
 267:4
pick 120:5 179:5
picked 10:21
picturing 65:15
piece 137:5 279:13
 279:16,19,22
 299:15 306:18
pieces 204:19
pile 325:16
pin-hole 172:6
pipe 3:10 14:9
 22:15 23:11 35:13
 41:7 104:21
 171:10 196:17
 197:6 204:19
 205:14 210:13,14

210:14 220:3,5,8
 220:11,20 221:13
 221:15,19 222:1
 222:12,21 223:2
 223:19,22 224:1
 224:14,16 225:4,5
 225:14,20 226:20
 227:19 228:10,13
 228:15,16 229:16
 229:21 231:17,20
 232:11,13,22
 234:1,10,17 236:9
 236:11,13 237:6,9
 237:13,17 238:6
 238:11,12,18
 255:19 256:15
 257:7,9,16,18
 258:7,22 259:11
 259:15,16,18
 279:16,20,22
 297:20 309:12,19
 310:4,13 327:1,8
 327:11,16,20
 328:7,11 329:7,8
 329:14 331:18
pipeline 1:1,4,10
 4:7,8,10,11 5:14
 5:15,16 10:6
 15:13 17:3,14,19
 18:3,4,13,14,15
 19:2,10 20:2,6,12
 21:5 25:7,15
 26:21 35:16 36:2
 36:4,13,14 38:5
 39:4,5,8,10,13
 40:9,11,19 41:6,9
 41:12 48:3,14
 53:20 55:4 61:21
 62:11 86:7,10
 87:11 88:6 89:8
 90:13 97:3,5
 101:18 103:5
 104:12 106:4
 107:4 109:15
 111:1 112:6,7,9
 113:5 115:9
 121:18 122:6
 126:3,8 127:11,13

132:11 143:16
 149:10 168:2,6,10
 170:14 171:5,8,9
 171:11,12 174:3
 177:7 187:5
 201:12 203:7
 207:11,21 224:17
 232:6 264:12,15
 265:13 266:3
 267:22 271:16,20
 271:21 272:16
 274:1 284:9
 291:11,12 292:15
 294:18 326:18
 327:2 328:16
pipeline's 271:14
pipelines 2:17
 41:22 44:4,13,21
 45:1 46:9 47:14
 54:6 65:1 69:20
 96:18 99:2 101:21
 103:1 104:18
 111:20 170:15
 178:12 236:5,6
 256:3 268:8,19
 269:17 292:19
 327:12,21 328:8
 328:12,21 329:5
 329:21
pipes 187:3,21
 289:20
pipng 48:2 49:8
 53:15,18,22 54:14
 54:19 55:1,13
 71:5,6,7,11 80:12
 80:16 81:20 82:3
 82:5,6,7,15 90:18
 93:14 109:1 119:2
 173:22 174:5
 236:1,20 279:13
 279:15 280:10
 288:17 296:19
 325:22
place 52:6 66:11
 82:1,12,14,16
 90:4,15 93:11
 97:2 99:15 100:4
 106:7 107:11

108:15,18 113:18
 114:12 117:15,18
 119:7 122:1,16,22
 157:13 160:3
 164:7 180:5 184:4
 199:14 265:21
 308:21 314:12
 318:7
placed 93:12
 102:17 160:4
 234:16 280:9
places 183:11
plain 127:17
plan 6:20 32:15,18
 42:16 65:6,7
 113:9 242:14,21
 258:12
planned 156:22
 257:6
planning 206:14
plans 286:17
plants 101:22 102:1
plastic 3:10 14:8
 22:15 23:11
 196:17 197:6
 205:14 211:1
 220:3,5,11 222:1
 224:1,13,16
 227:19 228:10,15
 228:16 229:16,21
 236:1,9,20,20
 237:6,9 238:6,12
 238:13 255:18
 256:3 257:7,9,16
 257:18 258:7,22
 259:11,15,16
 287:2,3,4 290:3
 328:12 329:7,14
Plastics 35:13
 222:12 225:20
play 59:10 210:16
playing 145:3
please 4:19 7:1,9
 8:5,8,10,12 10:19
 22:15 23:21 24:20
 26:18 29:22 32:4
 34:16 35:19 36:19
 37:18,19 38:16

- 39:14 51:6 55:19
79:10 80:4 82:21
84:1 85:6 86:5
88:5,20,21 89:22
90:19,20 91:15,15
93:3,21 165:11
166:13 167:7
168:1,19 177:16
265:10 266:17
272:21 332:7
plow 163:16,18
plug 219:6
Plus 35:3
pocket 176:3
point 9:14 11:5
14:3,18 20:20
21:9 26:7 37:15
51:19 52:2 53:17
54:1 55:2 57:8
72:11 74:15 94:14
104:2 108:18
116:17 120:5
132:3,3,20 139:5
140:15 164:6
165:17 180:7
181:14 183:3,14
185:6 193:1 212:6
252:1 282:5 283:5
284:16 289:2
290:2 297:3
307:15 311:17
312:14
pointed 107:19
212:4
pointers 338:21
points 49:2 107:8
111:4 142:9 241:7
284:5
policies 9:5 59:13
policy 17:14 43:3
197:11
poll 296:6
pollution 268:7
polyamide 223:21
polyethylene 220:8
221:13,19 222:21
223:21 226:20
227:15 228:11
- 236:13,20 238:15
poor 203:1 232:18
234:5,6,12
popped 45:19
portable 94:17 95:3
95:5 98:3,11,15
98:21,22 104:9
119:1 160:17
portion 42:1 221:22
271:20 280:9
291:11
portions 41:1 45:3
271:12,15
pose 25:4 108:20
position 100:19
139:22 141:21
143:22 149:3
308:9
possible 8:19 9:8,9
17:18 49:17
151:10 176:6
possibly 26:4
142:11 153:16
post 108:18 210:6
232:20
post-'15 136:11
post-installation
80:21 327:4
posted 213:20
postponed 189:15
potential 24:15
73:21 108:20
308:15
potentially 105:6
110:21 179:18
207:16
pounds 237:3
power 17:4 336:10
PPI 226:6,18
practicability
157:21
practicable 75:8
193:12 262:6
298:18 301:10
319:6 320:22
323:4 327:5
331:20
practicably 259:13
- practical** 117:21
118:18 119:22
159:22 283:12
318:18
practice 40:16 81:7
89:20
practiced 117:20
practices 94:17
179:14 223:9
266:21 309:16
pre- 14:10 327:10
328:6,19
pre-installation
327:6,7
pre-tested 327:20
pre-testing 3:14
22:19 325:13
326:22 329:4,13
330:8,14,18 331:5
331:17,21
preamble 123:13
220:18 221:22
241:7 319:15
322:18
precise 149:6
precisely 67:18
253:21
prediction 313:16
prefer 267:14
315:14 317:6
preference 258:6
311:21 315:11
preferred 42:14
preferring 100:4
premature 55:22
preparation 32:15
prepare 34:13
126:20 289:9
338:16
prepared 221:19
preparing 101:19
prescribed 110:14
prescriptive 42:12
42:14 200:1,4
202:3 274:6,19
275:6,21 278:14
278:22
present 1:12 2:1
- 8:21 13:12 46:6
108:3 197:12
275:19
presentation 44:14
presentations
10:10 335:21
presented 9:3 38:4
108:17
presenters 4:14 8:9
39:17
presenting 7:1
184:14 264:5
president 53:7
102:6 278:9
presiding 1:11 5:19
pressure 3:5 14:6
22:4 42:4 67:22
68:1,10,11,12
77:12,16,21 78:1
78:14,17,19,20,21
78:22 79:2,4,6,15
79:19,22 80:2,19
80:22 81:19,22
82:2,11,22 83:12
84:5,7,7,8,10,16
85:13,18 86:3,10
87:5,6,10,10
88:17,19 89:3,6
89:11,14,19 90:4
90:12,22 91:5,18
93:1,5 96:22 97:1
97:4,9,15,17 98:3
98:9,12 100:5,16
101:2,15 102:13
102:21 103:10
105:6,13,18
106:17 107:15,21
108:3,4,7,13
109:2 110:13
114:3,7 115:10
121:17,19,22
122:3,8,9,11,15
122:22 123:18,22
129:11,21 150:21
154:6,7 157:14
159:20 160:14
198:10 204:20
223:17 237:2

256:5 270:12
 328:21 329:7,11
 330:5
pressure-tested
 327:3
pressures 41:6
 49:5 103:4 237:20
pressuring 102:15
pressurization
 41:19
pretty 112:20
 125:20 281:17
 308:20 339:16
prevalence 316:19
 316:19
prevent 105:22
 126:2 270:9
prevented 86:8
previous 214:16
 269:21
previously 53:13
 59:18
prices 171:15
primarily 84:9
primary 115:19,19
prime 289:11
 296:17 311:3,9
priming 310:16
primis 10:13
primis.phmsa.do...
 10:12
principal 235:21
principles 55:10
 83:17
prior 16:6 18:22
 46:14 78:18 86:11
 88:9 90:17 92:11
 93:13,19 95:19
 106:15 119:10
 130:10 134:6
 136:13 160:5,10
 160:21 202:15
 314:17
prioritization 186:9
priority 16:19
pro 132:13
probably 16:6 22:1
 27:13 74:14 82:10

82:12 119:13
 130:18 243:12
 250:17 255:4,15
 282:8 283:15
 286:22 314:22
problem 66:1 137:3
 137:4 152:16
 177:17 189:7
 194:3 297:8,17
 299:12
problematic 82:4
 127:7 139:7
problems 19:2,8
 72:20 95:17
 128:21 137:16
 179:7,9 199:17
 207:14 291:4
 306:2
procedural 257:12
procedure 91:10
 226:13 234:6
 267:6 309:15
procedures 123:16
 166:7 167:15
 193:17 200:6,7
 202:14 208:22
 221:11,12 222:2
 222:10 223:5,11
 226:7,9 234:7
 240:10 272:19
 309:11 329:16
proceed 192:20
 319:22 324:4
proceeding 54:10
 336:1
proceedings 8:7
 50:1 52:1
process 17:16
 22:19 37:2 90:11
 103:2 114:11,13
 155:18 159:2,4
 201:21 209:6
 286:18 300:19
 325:21 326:3,5,14
 330:7,12 331:4,16
processes 113:17
 115:4
produce 238:14

produced 10:9
 213:20 223:22
producer 45:9
 63:21 70:19
producers 44:20
 45:15
producing 97:22
 327:22
production 29:7,9
 40:11,15 41:21
 44:4,12 45:1 46:9
 47:14 49:8 54:5
 54:19 55:5 64:22
 65:11
productive 105:21
products 16:22
professionals
 17:10
professor 143:4
 144:11
profile 179:21
profiles 186:7
program 40:4 42:2
 43:18 70:1 184:11
 197:11,20 199:1,3
 199:4 236:1 240:6
 243:13,16 246:3,4
 249:15 255:14
programs 168:17
 188:6 197:11
 201:21 246:5,8
 254:20,22 255:5,7
 255:10
progress 9:10
prohibitive 105:15
project 105:16
 230:12
projects 42:19
 105:1 106:14
prominent 237:8
promotes 17:6
Promoting 24:17
promulgate 19:5
 192:9
propane 35:2,3,12
 200:17 201:3
 207:2
properly 10:22

99:14
property 34:2 65:13
 164:20 165:4,14
 166:16 167:5,10
 168:3,22 170:17
 177:6 192:8 193:9
proposal 28:5,5
 50:10 51:18 54:8
 64:12 71:17 72:17
 93:8 107:14
 132:17 151:14
 152:11,13 157:21
 161:3,5 164:16
 165:18 166:15
 167:9 169:18
 170:4,16,21 218:5
 218:19 227:22
 234:3 264:22
 265:12 266:6
 270:20 272:2
 276:13,13,17
 291:9 292:16
 294:6 298:8
 318:16 328:5
 330:10
proposals 26:10,17
 26:22 27:20 28:11
 32:6 158:2
propose 85:8 91:12
 228:5
proposed 4:10
 19:11 25:1 26:20
 26:21 27:6,9 34:4
 34:6 36:3,17 38:3
 39:2,4,12 42:18
 43:3,6,15 44:18
 45:8 46:21 47:3
 47:11,17 48:9
 49:18,22 50:11
 51:19 53:11 56:2
 60:17,20 62:3
 64:13 75:2,4
 79:13 85:7 86:9
 97:5 102:7 105:5
 109:8 110:5
 111:22 121:2
 126:16 138:21,21
 139:20 145:6,7

150:18 153:9
 157:18 159:12,13
 159:17 165:12,13
 166:3,9 167:16
 169:22 175:11
 193:7,17 200:12
 206:4,4,8,15
 207:20 208:19
 222:22 223:6
 224:22 225:2
 226:17 227:6,8
 230:15 232:2
 234:16 235:4
 236:9,17 256:2
 259:8 262:1 265:1
 265:6,22 266:22
 269:12,14,19
 270:1,9,12 274:13
 275:3 284:6,17
 294:4 296:11
 298:13 299:13
 300:10 301:5
 304:9,14 313:6
 320:18 322:21
 323:11 326:6,12
 326:21 327:19
 328:17 329:19
 330:4,16,18
 331:14,22 334:19
 335:4
proposes 85:8,16
 109:21 200:12
proposing 140:3
 203:21 269:13
protect 16:21 20:10
 106:7 199:12
 268:11
protecting 19:3
protection 83:20
 84:14,17 89:1,5
 226:3 264:12
 265:19,21 272:15
 301:16
protective 290:3
 309:21
protocols 241:2
proud 9:7 17:9 18:6
 20:20 25:17

proven 97:22
provide 17:16 26:5
 37:5 40:18 53:10
 55:8 56:16 57:3
 71:18,21 72:17
 84:6 88:18 115:17
 147:21 171:2
 172:14 179:1
 207:16 222:5
 230:11 234:21
 251:12 272:2
 278:8 340:5
provided 6:16,21
 83:10 88:14 102:9
 201:13 208:2,14
 217:14 232:19
 279:10 338:17
providers 103:21
 207:5
provides 61:5
 104:8 206:21
 226:14 232:6
providing 33:12
 40:9 60:17 168:16
 188:6 206:18
 264:12 312:16
provision 108:1
 112:7 139:6
 143:20 148:9
 241:20 314:5
provisions 335:9
proximity 329:8
prudent 123:15
 130:20 131:1
psi 68:13 198:12
 328:8 329:14
psig 237:20,21
 328:1
PST 37:20 151:12
 152:8 161:1
public 1:16,17 2:3
 2:12,19 4:15 6:9
 6:15,22 7:8,18 8:3
 16:9 17:13 19:14
 21:3,14 25:14
 35:7,15 36:9
 43:11 50:16,17
 51:1 60:10 61:12

62:1,13 73:21
 74:8 94:1 103:6
 154:2 168:17
 170:5 174:20
 177:9 178:10
 179:19 184:14
 188:7 218:20
 228:19,22 229:9
 229:13,14,15
 230:11 239:4
 247:18 253:14
 272:15 277:13,18
 277:19 278:8,10
 291:16 307:20
 331:3,4,6
publication 37:6
 166:1 167:13
 169:20 193:15
publicly 210:6
publish 43:11
published 4:9 25:9
 41:16 42:21 43:5
 75:3,4 91:17
 132:17 150:18
 159:14,18 193:7
 201:18 220:4
 259:9 262:2
 298:13 301:6
 304:9 320:18
 322:22 331:14
Pugh 35:4
pull 64:13 119:5
 233:12 259:3
 292:7 300:13
pulled 235:10
pulling 339:13
pullout 205:15
pulsation 100:13
 119:4
pump 95:3
pumping 104:11
purchase 217:11
purchased 117:7
purchaser 110:14
purchases 197:22
purchasing 202:9
purpose 115:19
 120:13 126:1

127:4,16 158:20
 159:3,4 180:4
 182:9
Pursuant 5:16
pursue 43:1
pursuit 17:5
pushes 239:20
put 56:3 71:14,15
 82:16 90:16
 123:12,18,19
 128:9 142:16
 144:21,22 145:1,2
 145:7 146:22,22
 155:5,22 156:15
 158:18 159:10
 176:9 188:22
 219:6 239:15
 281:1 287:4,20
 306:18 313:13
 322:19 335:12
 339:9
putting 21:7 51:14
 251:1 253:11
 284:18 288:2
 317:4,19

Q

qualified 91:10
 222:10 278:18
qualifying 45:10
 208:22
quality 17:21 97:16
 203:1
quantifiable 32:6
 175:22
quantified 27:22
 38:2
question 57:22
 62:4,9 63:7 67:12
 71:9 73:8 82:17
 86:17 99:13
 109:16 117:14
 129:19 133:14,22
 136:4 139:14
 140:18 141:5
 143:1 146:13
 158:13,14 177:4
 177:15 178:7,20

178:20 179:4
 180:14 189:9
 190:19 203:18
 209:14 213:3,11
 213:13 215:13
 233:8 234:4,5,5
 235:4,8 240:18
 242:22 244:10
 245:1 249:8
 250:11 252:10
 255:21 256:6
 289:12,15 296:7
 316:2
questioned 184:6
questioning 37:22
questions 6:17
 20:4 43:6 58:17
 60:5,8 62:17 74:6
 74:11 109:7 124:2
 124:5,10 125:1
 131:13 142:9
 158:21 189:21
 203:14,16 209:10
 211:19 213:7
 215:17 218:9
 219:20 234:19
 267:14,18 277:17
 277:17 331:1
quick 27:16 28:7
 35:20 58:13 59:15
 66:8 182:1 296:6
 334:3 337:21
quickly 104:15
 267:17 319:17
quite 73:20 137:20
 138:15 188:9
 189:1 279:6 288:3
 310:8 318:3
quorum 13:10

R

radar 69:4 293:7
rail 16:7
railroad 16:13
 166:10
raise 11:2 50:18,19
 108:19 165:13
 213:3 257:12

284:5
raised 49:20 51:1,5
 57:7 73:6 107:9
 132:2,11 141:13
 156:10 165:9
 209:4 294:2
raises 95:20
raising 132:4
 173:16 257:6
 299:10
range 216:15
rank 198:19
ranking 249:18
rare 310:20
rarely 338:7
rate 33:8,20 34:13
 89:16 248:1 268:5
 288:4 297:19
rated 227:15
rates 214:17
ratings 227:3
RAUNIKAR 2:9
re- 81:11 94:10
 160:13
re-certified 135:1
re-design 86:16
re-inspected
 160:10
re-pressure 103:13
 123:11
re-pressure-tested
 87:22
re-purposing 98:5
re-qualification
 14:10
re-read 320:7
re-tested 92:7
re-testing 80:5
 81:13,16 91:2
reach 18:18 243:21
reached 141:8
reaching 174:6
reaction 156:20
read 30:13,15 31:2
 67:21 125:20
 127:5 134:9
 141:15 142:8
 271:9

reader 31:9
readily 266:13
reading 31:1 120:7
 135:22 161:7
readings 265:4
ready 50:15 63:7
 74:15 159:16
 170:4 228:22
 261:18 277:13
real 28:7 35:20 63:3
 66:8 67:21 112:6
 117:13 182:1
 219:16 287:13
real- 267:9
realize 113:22
 212:21
realized 281:7
realizes 123:14
really 16:17 18:8
 27:19 69:14 70:3
 73:2 94:20 107:8
 107:10 108:20
 113:13 114:2
 115:15 117:4,12
 117:20 118:13
 124:12 126:9
 127:6 136:20
 142:9 146:13
 147:15 149:6
 164:4 176:16
 180:2 183:5,15
 184:6,8 185:14
 187:6,20 190:10
 212:1,4,5 216:6
 216:21 219:8
 230:10 231:9
 235:1,8 239:18
 240:8 242:13
 245:19 246:1
 278:20 282:2,10
 307:12 315:14
 316:17 318:1,9
 338:5,6,8,22
 339:10
reason 70:20 156:4
 175:4,8 231:8
 238:7 279:9,12,20
reasonable 75:7

159:21 193:11
 259:12 262:5
 298:17 301:9
 318:17 319:5
 320:21 323:3
 331:19
reasonableness
 157:20
reasons 100:18
 155:9,11 247:2
 299:14
reassembly 95:16
reassessment
 272:6
reassure 284:13
reassuring 285:5
recall 102:4 153:18
 334:10
receive 50:15
 228:22
received 25:6,13
 34:21,21 35:14,16
 35:18 36:16 50:8
 69:6 86:6 90:1,20
 93:7 141:14
 166:14 169:16
 227:20 228:4
 265:12 270:19
 276:15 291:15
 292:14 326:15
 330:9
receivers 123:4
 160:18
recess 196:6
reclassified 185:5
recognition 18:11
 117:5 137:21
recognize 49:6
 50:20 56:8 226:2
 279:11
recognized 36:5
 81:6 89:20 110:3
 115:2,3 145:19
 146:9 226:1
recognizes 274:3
recognizing 87:16
recommend 100:19
 132:16 265:17

277:9 330:17
335:5
recommendation
52:10,19 55:9
96:21 97:1 98:7
150:9 179:17
187:6 203:20
218:19 230:20
233:21 234:14
290:12 304:20,22
315:15 334:12
recommendations
26:11 37:8 202:17
228:15 230:18
312:17 315:12
338:17
recommended
40:16 52:13
166:20 168:11
201:20 228:3,9
305:11 323:16
330:14
recommending
131:5 276:16
304:12
recommends 36:13
50:9 93:7 169:17
227:21 235:3
330:9,15
reconsider 100:19
reconsideration
87:1 111:9 126:13
222:9
record 10:10 18:16
53:6 158:18 164:1
194:2 196:11,14
239:16 254:21
260:5 290:15
302:1 334:21
338:13 340:11
recorded 10:8,22
23:19 335:20
recording 265:3
recordkeeping
273:6,18 277:5
records 122:6
251:17 273:9
277:6 299:4 321:3

rectifier 3:12 14:9
22:17 264:1,9,11
264:13,21 265:2
265:15 266:2,8
267:4 276:12,19
276:21 277:21
298:19,20 300:22
301:12,13
rectifiers 265:5
267:12 298:15
299:13 301:8
redesign 111:8
reduce 36:13 39:4
94:21 95:1 96:4
99:7 166:4 271:13
reduced 30:5 36:5
reduces 206:18
reducing 24:4
266:19 274:2
reduction 33:8
36:10 98:14,18
198:20 209:6
266:19 285:3
reemphasize 107:7
reemphasizing
107:8
refer 40:2 216:8
reference 36:21
37:11 79:5,21
89:8 114:20
145:15 220:12
221:3 222:22
223:6 224:5 226:6
227:5 272:11
referenced 37:13
122:12 222:17
223:9,20
referred 24:8
referring 62:2
138:20 177:9
217:14 225:4
refers 40:9 209:15
refine 61:13
refining 101:22
103:3
reflect 124:11
150:6 224:11
reflecting 49:3

reform 4:11 8:18
9:12 19:10 21:19
24:3,13,14 25:9
27:2 60:3 165:10
165:20 248:14
268:17
reforms 179:11
refresh 157:16
reg 9:12
regard 42:20 75:6
84:3 150:20
151:15 152:3,8,11
159:19 160:22
161:3 193:9
209:10 213:7
215:17 219:3
228:4 229:21
239:3 247:13
256:14 259:10
262:3 277:2
298:15 301:7
320:20 323:1
330:14 331:16
regarding 15:20
17:18 24:2 28:14
33:16 44:19 49:15
72:8 94:10 188:12
205:17 228:1,8,10
251:14 259:15
276:19 285:12,13
292:9,12,15
293:13 298:19
299:2 301:5,12
330:12 331:21
regardless 98:9
regards 169:7
222:20 315:8
regime 199:12
Region 210:2
Register 25:2 61:11
75:3,5 150:19
159:18 193:8
242:1 259:9 262:2
298:14 301:6
304:10 320:19
322:22 331:15
regular 167:14,18
218:14

regulated 29:16
38:19 43:16 44:15
48:3,4 61:1 64:18
69:10,11,19,22
71:11
regulating 42:4
68:1
regulation 24:4
45:22 46:5 56:12
60:20 64:20 116:8
116:13 129:16,19
175:12 176:4
181:2 202:6
204:11,17 228:6
240:5,22 294:17
regulations 10:15
19:6 25:4,7,15,18
25:19,22 26:3,22
38:8,10 45:11,14
45:17 48:7 53:21
53:22 59:5,12
66:14 70:16,21
72:10,11 90:22
114:20 116:13
117:2 128:10
130:1 131:3 139:4
144:1 203:7
208:20 218:4,12
219:1 224:16
230:16 244:1,19
264:15,16 272:10
274:7
Regulations.gov
10:15
regulator 55:1 67:6
67:22 68:13 78:10
155:4,8 156:19
165:20 183:4
191:10 254:6
regulators 183:16
246:18
regulatory 1:22
4:11 8:18 19:10
19:12,16 21:18
24:2,5,6,7,9,10,13
24:14 25:9 27:1
28:10 36:3,10
37:21 40:6 45:2

55:12 56:5 58:7
 59:19 60:3,11
 65:19 75:6 92:2
 150:19 157:18
 159:19 165:10
 174:14 179:11
 186:10 190:6
 193:8 207:17
 222:7 259:10
 262:3 268:17
 298:14 301:7
 320:19 323:1
 331:15
reinspected 119:20
 133:11
reinstate 206:6
relate 40:2
related 9:4 28:5
 32:7 38:8 45:13
 46:16 48:17 66:9
 72:1,20 99:9
 125:5 220:2
 221:10 236:9
 246:12 276:13
 292:16
relates 210:12
 222:16 223:8
relations 45:20
 70:18
relative 94:12
 151:13 152:9
 161:2 218:1
 239:16 248:21
relatively 180:3
 207:15 327:17
release 106:8
released 103:10
releases 174:13
relevant 25:7,15
 146:5
reliability 39:13
 68:8
reliable 17:6 97:22
reliably 100:17
relief 19:12 56:5
 68:2
relieve 68:10
relocate 100:9

relocated 92:5
 93:15 96:22 98:8
 103:11,14 119:21
 121:18 133:9
 134:3,10 135:6
 160:7
relocating 92:3
 118:20
relocation 91:14
 100:20 105:8,11
 106:11 118:11,12
 120:9
relocations 91:5,19
 91:21
reluctant 179:22
reluctantly 180:17
rely 199:2 242:1
relying 254:2
remain 18:18 87:21
 215:4
remained 165:16
remaining 50:4
 326:2,13
remarks 15:8
 333:22
remediate 275:21
 289:15 296:15
 305:2 306:6 307:7
remediated 122:10
 271:6 279:17
 280:11,20 289:19
 305:6 306:19
 310:2 311:13,19
 312:4,6 314:6
 316:11 323:6
remediating 171:19
 287:9 309:17
remediation 271:8
 272:6,9,18 277:9
 307:22 308:16,16
 309:2 317:14
remedies 86:1
remember 10:20
 19:14
remembered 154:4
remind 158:4
 186:21 187:18
 211:22 288:14

292:10 293:9
reminder 295:5
reminders 10:19
reminds 38:6
remote 3:12 14:9
 22:17 31:1,5,5
 264:1,10 265:1,15
 267:8 276:12
 277:21 298:15
 301:8
remotely 30:13
 31:2 264:17 265:6
 266:13 276:20
removal 95:12
remove 51:18 75:9
 78:3 87:5 90:3
 103:8 108:10,12
 277:3 279:14
 309:11 330:3
 331:21
removed 100:13
 234:13 279:17,18
 309:20
removing 49:13
 50:11 167:5 207:3
 207:12,14 233:18
 240:22 275:18
 276:6 329:18
 330:15
renewable 36:14
rent 217:13
rented 98:15
reoccurrence
 280:3
repair 100:13
 135:14 160:16
 167:2 172:5 174:1
 174:3 177:21
 178:1,3,12 185:17
 186:5 271:11
 293:3
repairing 171:18
 177:7
repairs 100:11
 104:13 171:6
 178:15 183:22
 328:22
repeal 25:11

repeat 47:12 67:17
 171:2
repeated 206:1
replace 271:12
 279:13 308:19
replaced 89:14
 290:1 308:18,22
 309:19
replacement 25:11
 81:16 171:10
replacing 80:6
 81:12,13 82:11
 174:8 272:5
 296:19
report 3:7,16 14:7
 23:15,19 33:13,15
 33:20 34:12 70:2
 70:7 83:2,4,12
 84:2 88:15,22
 163:21 164:3
 169:15 170:3
 177:2 178:5 185:4
 187:3,6,19 191:2
 191:9 192:12
 202:5 205:3 206:7
 206:10 207:8,12
 208:10,15 209:2
 212:8 213:2,20
 214:13 215:6
 228:5 230:1 231:1
 231:2,3,6 232:5
 232:11,20 233:4,9
 233:20,22 235:1
 245:5,5,6 249:5
 250:3 251:1 255:4
 258:4 259:2
 334:15 335:1,8
 336:1
reportable 34:5
 166:4 168:15
 172:1 188:4
 191:11
reported 34:6 165:7
 171:22 184:2
 191:22,22 233:6
 246:11
reporting 3:10 14:8
 22:6,14 23:6 44:5

60:21 67:3 168:21 170:22 173:3,7,10 174:12,17 176:16 176:21 177:1,20 178:4 180:9 181:17 182:9 193:10 197:13 200:15 202:21 203:6,10 204:15 205:18 206:6 207:14 209:22 212:3 213:18 215:5 233:16 250:16 255:3,3 reports 30:18 33:19 33:22 175:14 190:21 191:14 196:17 199:7 205:20 206:1,16 206:17 207:4 208:2,5,6,9 210:11 214:5 244:13 245:22 249:19 251:5 253:9 257:16,19 258:2 262:4 repository 212:9 represent 23:19 32:5 334:15 336:1 representative 188:18 representing 32:2 230:8 represents 30:10 31:14 103:19 qualification 3:14 221:20 326:7 request 45:2 91:3 106:10 274:6 requested 25:10 36:6 37:2 38:12 47:22 48:19 88:7 90:2 201:8 208:16 225:9,11 226:6 227:1 274:18 275:17 requesting 226:9 requests 36:11	46:18 208:14 247:21 266:20 273:1 require 39:7 91:11 91:21 95:10 98:8 105:13 122:14 178:4 199:11 265:6,20 266:1 269:19 270:5,16 276:20 298:20 299:3 301:13 315:5 321:2 required 4:15 23:19 24:13 42:3 55:8 78:20 89:4 116:12 131:4,7 205:2 240:5 249:5,16,21 266:7 267:3 268:21 272:9 276:9,22 294:9 298:22 301:15 316:22 334:15 335:8 requirement 42:15 43:19 44:17 48:14 67:6,19 68:14 90:3 108:11,12 110:20 113:12 117:17 128:1 135:4 201:5,11 202:4 233:16 243:20 249:12 264:19 267:2 274:14,16 275:21 292:2 317:18 325:21 326:5 328:6,10 329:13 330:7,13 331:17 requirements 3:6 14:6 22:5,14,19 23:13 30:4 36:10 40:4 41:18 42:2 42:10,12 44:21 46:17 47:4 49:12 53:12 58:19 60:21 61:8,9 62:7 65:9 65:20 67:1,10 71:8 72:19 77:17	78:12 79:16 83:13 83:14 84:4,14 85:3,13,19,20 89:2,13 91:1,19 92:3,6 93:5,17 107:15 112:1,3 122:2,12 134:5,16 135:2 143:14 144:2 150:20 159:20 160:9,14 173:3 176:17 177:20 197:17,18 198:15 199:13,19 199:20 200:2,5,8 200:9,11,16 201:19 202:1,21 203:10 204:15 205:17 207:12,15 218:22 220:3,15 240:3,12,13 241:1 265:19 268:18 271:18 273:7,18 274:11 277:5 278:14 292:21,22 326:7 329:10 331:4 requires 24:18 78:9 78:14 98:7 105:16 111:7 174:7 202:13 221:14 231:3 241:3 270:13 272:18 282:20 329:15 requiring 61:3 80:20 87:4 96:21 122:15 126:2 resale 198:2 research 39:3,9 201:17 247:4 Reserve 2:16 104:8 reserving 58:2 residential 40:14 274:10 resistance 205:16 resolve 47:5 52:10 52:17 87:14 145:4 resolving 18:14 resources 1:21	24:20 35:2 71:14 71:15 174:14 182:20 199:20 respect 43:9 103:11 223:5 325:20 respond 47:8 58:10 125:18 126:22 190:7 217:7 292:4 296:7,9 297:2 313:10 responded 224:17 326:19 responding 155:10 responds 126:12 response 12:19 13:1 24:21 25:8 36:15,16 37:7 38:16 45:21 47:2 50:6 57:13 74:12 74:17 86:12,22 87:18 88:21 90:8 91:8,16 93:4 111:5,10 125:13 140:4 149:22 150:12 167:8 168:20 169:14 175:1 188:2,9,10 192:21 195:4 201:16 203:4 207:19 209:1 222:7,19 225:12 227:17 266:10,22 272:4 273:12 275:1 276:4,12 291:6 292:18 302:6 303:11 329:2 330:6 responsibility 18:15 47:10 rest 218:22 restate 188:8 291:5 restraint 205:15 result 27:6 30:17 34:5 36:6 45:13 80:7 89:15 165:6 169:6 182:5 190:11 208:5
--	--	---	---

274:5 297:19
298:3
resulted 34:2
resulting 33:14
102:21,22 231:12
232:2
results 165:6 168:4
172:9 198:21
205:19 273:21
resumed 196:12
retain 273:9 277:6
299:4 305:1
retested 85:14
93:17 105:10
119:20 122:10
133:11 134:5,17
134:22
retesting 91:4
96:21
retired 102:3
retroactive 116:7
116:15 136:20
retroactively
136:22 149:16
reused 99:6
reverse 18:21
review 14:3 25:18
26:3 27:4 37:3
58:13 72:12 100:8
140:15 141:2,9
148:11 151:14
152:11 157:17
161:3 168:11
220:22 292:20
293:7
reviewed 92:21
210:8 213:19
221:1
reviewing 132:10
reviews 37:10
148:3,20
revise 208:14
259:15 299:3
321:2
revised 45:7 79:3
83:8 126:5 223:4
258:21 273:7
revising 223:16

276:2 329:18
revision 26:3 38:4
221:4 225:2
revisions 36:22
48:11 228:6
RIA 32:5 34:18,18
38:22
Rich 75:13 76:16
157:12 162:20
195:1 243:5,6
244:3,6 259:6,19
261:5 263:9 288:7
288:9 290:10
296:6,9 301:18,19
302:21 306:4,16
308:17 310:7
314:14,15 317:10
322:7 324:20
331:13 333:6
335:16,18 337:3
Rich's 317:4
Richard 1:23 12:15
157:10 306:3
310:5 323:14
331:11
Rick 290:19
Ridge 83:2,3,9 84:2
85:5 88:10,15
102:10 107:20
137:14
Ridge's 114:9
ridiculous 182:14
right 9:17,20,21
11:10,16 12:8
13:2,9 14:2,19
15:10,16 20:22
51:3 52:22 55:15
55:16 56:20 57:5
57:14 58:9,20
61:19 62:15,22
64:3,15 68:17
70:11 71:5,20
73:3 74:5,9,13
75:15 77:9,11
94:3 96:6 106:19
109:4,10 120:2
121:4 124:18
126:21 127:22

129:3 131:11
132:8,22 138:5,9
138:13,17 142:1
143:4 144:13
147:8,13 148:8,22
149:19 150:1,10
150:13 152:15
153:8 157:9 158:6
158:7,10 161:11
161:19 163:9,12
163:20 170:6
172:15 174:19
175:9 176:1,13
177:12 180:21
181:5,20 182:7
184:18 186:16
188:1 189:19,20
191:12 192:13,22
193:3,18,22
195:14,16 196:15
196:20 203:20
209:8 211:20
212:15 213:5
215:16 218:17
219:19 228:17
229:3,11,14,20
235:15 239:1,5,10
243:1,3,10 244:15
244:22 250:22
252:22 253:8,9
254:10 255:12,18
256:8,9,17 257:10
259:4,6,21,22
260:3,7 261:17,19
262:11 263:21
264:3 267:18,20
277:15,19 278:1
281:11,13 282:3
282:11 284:2
285:6 290:6,18,22
292:3 293:18
294:16 295:2,15
295:17,21 296:21
297:6,14 299:16
300:2,20,21
301:17,21 302:3
303:14,18 307:10
308:5,10 309:7

310:5 311:15,17
312:9 313:12
316:17 319:7
320:13,15 321:5,9
322:17 324:3
325:10,17 330:22
331:2,6,10 332:1
332:5,12 333:18
335:14 336:6,9
337:15 340:8
right-of-way 40:19
righty 336:8
RIN2 59:22
riser 268:15 316:10
risers 238:15
risk 158:1 179:13
179:21 186:7
198:19 199:20
246:9,9,10,14,19
249:17 270:6,8
275:2 290:14
risk- 199:11
risk-based 274:20
275:15
risks 41:19 90:11
102:15 103:14
113:21 186:8
198:19 249:18
327:17
RMLD 285:19
road 134:13 189:6
Robert 1:20 2:10
13:7 74:20,21
75:4 77:7 163:7
195:12 261:13
263:17 303:7
325:6 332:2,3
333:14 337:11
Roberti 2:3 6:6
334:12
robust 247:12
robustly 181:17
role 157:17 158:4
255:11
roll 11:5,9 75:19
162:2 321:11
332:7 335:12
ROLLET 1:19

Ron 12:8 76:10
 162:14 193:3,5
 194:17 239:10,12
 260:21 263:3
 285:7,9 288:18
 290:10 298:9,11
 299:17,19 301:1,2
 302:15 306:9,10
 307:11 322:1
 324:14 332:22
 336:19
RONALD 1:15 2:9
room 15:16 18:17
 142:14
roughly 29:21 33:8
 33:17 34:10
routine 183:22
 185:17
routinely 30:15
 98:17
rule 8:18 19:11,15
 20:9 21:19 34:7
 38:3 39:2,12
 41:16,20 42:18
 43:3 44:19 46:2
 47:3,17 48:10
 49:22 52:3,12
 54:12 56:21 59:7
 59:9,22 60:3,15
 62:5 66:17 68:22
 69:18 75:2,4
 79:13 85:7,11,16
 85:17 86:12 87:1
 87:20 109:8 116:3
 116:5 121:16
 125:18 126:13,16
 126:20 128:9
 139:18 140:7
 141:21 149:15
 150:3,18 159:12
 159:13,18 165:19
 165:20 166:18
 167:12 169:12,20
 170:20 175:17
 182:19 193:7,14
 200:12 205:14
 206:4 209:3 220:4
 220:6,18 222:1

224:1,22 227:8
 259:8 262:1
 266:22 270:9,13
 273:16 275:4
 284:7,17,18 291:4
 292:12 293:10
 294:4 298:13
 300:10 301:5
 304:8 320:18
 322:21 326:6,21
 330:19 331:14
 338:16
rulemaking 4:6,10
 17:14,16,17 19:11
 19:13 21:4 22:2
 24:1 26:1 34:21
 37:9,15,16 39:6
 49:11 50:2 54:10
 56:15 61:22 70:10
 72:13 86:15 87:3
 110:6 111:11
 117:12 126:12,14
 136:9 137:22
 138:21 139:20
 145:7,7,10,15
 168:18 173:12
 180:22,22 202:18
 203:8 208:19
 227:10 228:7
 230:12 236:9,17
 296:11 330:21
rulemakings 56:20
 242:13
rules 8:3 19:5,10
 25:10 45:8 71:20
 166:4 182:12
 190:13
run 215:11
running 240:3
runs 6:12
runtime 105:17
rural 45:1 56:10
 61:4
rust 288:15,16
 289:9,19 296:17
 311:2,6 316:8
rusting 289:21

S

safe 16:11,22 17:6
 20:2 80:6 92:22
 98:1 99:4 187:2
 187:21
safeguards 270:9
safely 87:7 100:17
safer 111:20
safety 1:2 4:7,10
 5:14 15:13 16:9
 17:19 18:4,10,13
 18:14,16 19:6,19
 20:6,10,13 21:5
 25:7,13,15 26:4
 26:14,22 35:16
 36:4,12,19 38:5,6
 38:9 39:1,5,5,9
 41:3 48:9 49:21
 53:20 54:3 56:21
 61:21 71:22 73:21
 74:8 80:8,10 81:2
 81:5,11 83:4,11
 84:6 86:7 87:9,15
 88:6,14,18 89:8
 89:16 91:20 95:20
 97:14,16 100:2
 106:6 108:4
 109:15 111:19
 112:6,8,9 123:17
 130:10 132:11
 137:14 138:10
 139:5,9 146:12
 160:20 168:2,6,10
 170:15 174:15
 175:17,21 187:5
 190:12 199:7
 200:3 201:12,14
 201:18 202:6
 203:7 206:20
 207:11,17,21
 222:6,15 224:17
 226:2,15 230:16
 238:19 240:22
 243:14 264:15
 265:13 267:9
 270:10 272:5,15
 272:16 274:1
 275:4 278:10,21

292:15 298:2,4
 307:18 310:3
 318:11 326:19
 328:16 334:20
 335:5
sand 289:10 296:17
 311:2,9
Sander 35:2
Sara 1:19,20 12:1
 13:5 76:6 77:4
 109:8,9 125:5
 126:21 132:4
 136:6 138:18
 142:8,18 146:17
 147:16 148:22
 151:8 162:10
 163:5 175:2
 177:15,22 178:6
 178:21 179:6
 190:1,4 193:19,20
 194:13 195:10
 213:10 244:8,8
 252:16 255:16,19
 256:18 257:11
 258:6 260:17
 261:11 262:8,21
 263:15 284:3
 291:2,5 295:22
 296:10 297:10
 302:11 303:5
 305:16 307:10
 312:9 314:11
 317:4 320:15,15
 321:19 322:13
 324:10 325:4
 332:16 333:12
 336:3,15 337:9
Sara's 112:19
 116:17 125:1,13
 144:21 150:2,7
 297:2 315:8
Sater 1:14
satisfactory 142:15
Satterthwaite 11:7
 11:10,18,21 12:1
 12:3,8,11,13,15
 12:18,20,22 13:2
 13:5,7,9,19 75:17

- 75:18 76:2,4,6,8
76:10,12,14,16,18
76:22 77:4,6,9
161:14,19 162:1,6
162:8,10,12,14,16
162:18,20,22
163:3,5,7,9 194:3
194:9,11,13,15,17
194:19,21 195:1,3
195:5,8,10,12,14
260:6,13,15,17,19
260:21 261:1,3,5
261:7,9,11,13,15
262:12,17,19,21
263:1,3,5,7,9,11
263:13,15,17,19
302:2,7,9,11,13
302:15,17,19,21
303:1,3,5,7,9,12
321:12,17,19,21
322:1,3,5,7,9,11
322:13,15 324:5,8
324:10,12,14,16
324:18,20,22
325:2,4,6,8
332:10,14,16,18
332:20 333:2,4,6
333:8,10,12,14,16
336:8,13,15,17,19
336:21 337:1,3,5
337:7,9,11,13
sausage 338:20
save 26:12 32:14
33:17 106:5
saving 105:2 176:2
savings 26:5 27:7,8
27:16,19,22 28:1
28:4,13,20,21
29:4,14,19,20
30:2,4,10,17
31:11,14,22 32:3
32:7,10 33:1,4,15
33:18 34:15 36:5
38:21 233:17
248:16 283:1
289:4 328:18,22
saw 125:15
saying 71:6 128:3
- 128:14 150:4
179:6 189:8 197:7
255:7 291:2
294:14
Sayler 2:6 13:18
39:19,21 60:7
61:20 69:8 70:9
197:5 219:22
251:12 256:11,14
293:14,21 294:16
says 33:10 68:1
128:4 130:9 139:9
149:8 157:17
175:6,14 178:13
294:17 312:4
scaffolding 174:7
scale 114:11
173:19
scenario 280:17
scenarios 54:21
56:18
scene 306:14
schedule 8:1
170:22
scheme 24:10
248:17
school 1:19 65:16
65:18 285:20
schools 216:16
science 339:11
scope 46:10,11
47:15,16 56:14
58:21 66:14 72:2
72:8,14 105:19
209:3 227:8 328:2
scrap 238:5
screen 7:16 21:8
45:19 52:20
214:11 251:2
293:14 294:15
scrivener's 110:1
scrubbers 105:13
scrutiny 249:7
SDR 225:4,10,13
236:14,15
se 70:6
seal 235:10
seashore 314:9
- second** 52:3 63:10
75:12,14 133:6,9
133:14,19,22
135:15 136:4
151:19 161:8,10
193:15,19,21
215:22 229:7
233:21 259:22
260:2,4 262:8,9
283:5 299:7,10
301:18,20 313:7
313:19 315:19
317:5 319:14,15
321:6,8 322:18
323:14,21 324:2
328:10 332:2,3
336:3,4
secondary 38:14
42:16
secondly 169:21
266:12
seconds 161:12
Secretary 187:4
335:8
section 42:6 78:16
78:19 84:15 86:21
95:4 104:20
109:17 110:11
111:5 122:3,13
123:13 127:5
128:1 153:15
178:10 213:2
221:14,16 231:2,5
234:13 271:19
273:18 292:7
294:10,12 321:2
327:6,10 330:1,4
sections 84:21
104:12 231:17
296:19 310:13
security 16:9
see 27:19 28:3 30:8
33:9 34:8 50:22
57:7 65:22 71:1
73:5 109:5 118:7
119:14 124:4
130:20 139:19
144:11 153:1
- 174:20 183:20
187:13 192:14
209:9 212:2 213:6
218:19 219:9
229:18,18 239:2
239:10 244:8
246:18 250:13
252:21 253:20
258:16,20 267:13
277:16 291:1
292:8 300:7
306:14 310:8
311:5,11 313:1,16
313:20 320:4
333:21 338:12
seeing 57:15 74:13
211:11 212:6
213:8 229:11,14
239:5 251:14,21
277:22 281:13
289:22 290:4
293:14 294:15,16
331:2,6,9
seen 18:7 247:3
251:20 308:14
338:21
segments 3:14
14:11 22:20 266:3
325:14 327:1,8,11
327:16 328:7,11
331:5,17
selection 115:4
selfless 18:2
send 56:1
sends 284:19
307:15
sense 135:20 177:2
184:13 216:10
278:16 286:10
sensibly 200:8
separate 14:16
27:12,18 37:14
137:10 185:18,19
196:18 228:18
258:8,18 286:9
separately 8:7
88:16
separating 182:21

- separators** 95:7
119:4
- serious** 19:8
- serve** 5:19 84:11
245:19
- served** 102:5,6
- serves** 17:15 198:8
201:2 275:15
- service** 1:16 30:12
30:14,19 31:1,10
40:18 41:20 42:1
42:4 43:16,21
44:3 45:22 46:3,8
46:21 47:7,10,13
47:21 48:2,13,20
49:2,10,15 50:12
51:20 52:1 53:16
53:22 58:22 59:5
61:3 62:6,10
64:17,21 65:18
66:10,12,16,21
67:1,7,8,11,22
68:9,13 69:2,17
70:4 85:2 87:21
87:22 89:4 98:1
103:20 114:5,10
123:19 181:9
205:1 210:22,22
237:2 247:6,7,18
268:13 269:10,17
270:8 271:1,10,12
271:16 273:13
275:10 280:18
285:15 286:7
297:5 308:20
328:12 329:7,14
- service-to-service**
215:1
- services** 40:9 65:13
96:10 98:19 99:1
106:3 236:3 286:1
287:1,3,7,12
290:1
- serving** 10:2
- set** 21:6 24:9 68:9
84:17 97:21 113:9
181:17 256:4
287:18 288:17
- 289:8,19 310:10
310:12,22 311:4
311:14
- sets** 268:15
- setting** 121:6
180:15
- settle** 72:20
- settlement** 139:17
140:3
- setup** 182:8
- seven** 322:16
- seven-and-a-half**
326:4,14
- Seymour** 1:14
- shake** 116:17
- shaped** 16:16
- share** 5:8 31:2
103:22 150:2
157:12 171:4
240:17 331:8
- shared** 18:10
- Sharing** 187:1,5
- she's** 116:18 291:2
- shelved** 338:13
- shipped** 237:18
- shop** 102:16 118:4
- short** 3:14 7:12
14:11 22:20
325:13 326:22
327:8,11,15 328:7
328:11 331:5,17
- shorter** 270:13
271:3 272:5
273:12 274:9,14
277:10
- shortsighted**
207:18
- shot** 66:5 285:10
- shouldn't** 65:9
70:16 112:2 280:2
- show** 190:12 250:4
- showcase** 151:16
- showing** 136:8
246:15
- shown** 169:8
232:20 249:22
- shows** 175:6 215:9
250:2 287:22
- SHRIMP** 199:3
243:15,19
- shutdown** 165:1
- shutoff** 68:3
- SI** 55:18
- side** 32:4 38:20
127:5 332:11
- SIF** 243:13
- signaling** 240:5
- signed** 55:17
- significance**
185:14
- significant** 24:7
41:1 73:21 80:9
87:12 95:1 100:2
105:19 136:14
137:6 169:4,11,13
172:9 175:7
182:17 192:11
199:17 205:13
206:2 208:3
209:15 211:6
215:10 248:18
270:4,18
- significantly** 73:16
198:10 216:13
- silencers** 94:12
98:22
- similar** 6:20 123:21
160:19 166:9
167:16 169:22
182:3 193:17
314:16 323:9
327:14
- simple** 199:11
216:16
- simplified** 198:15
- simply** 68:15 71:18
72:17 75:21
106:10 109:17
111:1 128:16
139:9 140:20
149:8 218:6
240:22 242:1
282:5 323:21
- Simultaneous**
61:15 150:22
152:6,19 177:13
- simultaneously**
274:13
- single** 196:18 201:3
269:7
- sir** 75:1,17 77:18
96:13 101:3
106:20 131:16
170:9 172:16
197:8 204:3 230:3
294:14
- site** 105:12 118:1,6
- sites** 104:19
- situation** 100:4
171:3 182:15
242:2 296:18
306:20
- situations** 238:2
- six** 14:5 22:3
264:14 267:4
326:3
- six-month** 326:11
- size** 173:19 225:7
238:6
- sized** 97:3
- sizes** 220:14,16
221:6,8
- skid-mounted** 95:6
- skip** 2:1 6:4 15:1,6
15:7 26:8 182:19
- sleeve** 171:7
- slide** 21:7,20 22:15
23:21 24:20 26:18
27:15 29:22 30:1
32:5 34:16 35:19
36:19 37:18,19
38:16 39:14 46:12
64:11 77:22 78:17
79:10 80:4 82:20
84:1 85:5 86:5
88:5,20,20 89:22
89:22 90:19,19
91:15,15 93:3,21
118:14 124:13
125:19 129:7
130:4 132:21
133:6,6 141:15
153:14 158:8,15
164:13 165:10

166:13 167:7
 168:1,19 169:9
 188:14 204:5
 216:3 249:7 258:1
 258:3,21 259:2
 265:10 266:17
 272:21 334:15
slides 28:7,9
 124:11,22 164:4
 294:6 334:17
 335:7,21
slightly 165:21
 166:1
small 67:4 97:3
 103:21 104:7
 172:6 174:9 179:7
 186:2 199:10
 200:20,22 201:5,8
 201:9,19,22 202:6
 202:22 203:9
 204:7 216:16
 228:4
smaller 243:16
SME 38:12
SMEs 23:2
smoothly 6:12
SMYS 328:1 329:22
solely 47:3
solicited 25:3
solutions 19:2
solve 72:20
somebody 55:16
 63:14 86:17
someday 340:3
something's
 299:21
soon 257:2 259:3
sooner 219:7 308:6
sorry 21:5 31:6
 45:18 61:17 63:14
 64:10 70:4,8
 133:2 141:4 142:7
 149:1 151:2,6
 183:1 190:4 195:5
 216:2 229:20
 254:12 256:7,12
 260:7 264:6 278:6
 290:21 295:19

316:16 332:10
sort 61:5 113:8
 116:16 136:4
 151:17 178:21
 179:15,22 181:13
 181:14 182:12
 183:9 184:5
 219:10 248:19
 282:20,22
sorts 190:15
 191:21
sought 166:6
 200:14
sound 17:7 97:12
 102:12 222:4
sounded 308:18
source 29:11 41:5
 41:7,9,12 44:4
 48:3 53:18 61:1
 62:11 64:22 65:11
 69:19 71:10 201:3
 247:10,13
sources 61:2
sourcing 69:7
Southern 210:2
Southwest 35:3
space 82:2 136:21
span 211:2
spans 182:4
speak 10:21 15:12
 96:12 101:9
 131:13 144:19
 146:18 150:2
 182:22 238:21
 243:3,4 252:1
 290:20 314:2
speakers 8:9 23:1
 103:7
speaking 7:1 55:21
 61:15 150:22
 152:6,19 177:13
 182:1 237:8 317:8
special 6:2 202:5
 238:10
specialized 173:21
specific 36:6 111:2
 190:5 202:1
 213:14 226:7

241:19 250:22
 258:4,21 259:2
 275:19 316:21
 317:18 318:12
 326:15
specifically 37:1,17
 47:9 94:10,17
 107:16 110:3,12
 199:18 229:6
 239:21 273:8
 280:15
specifications
 220:11,14 221:5
 222:21 223:4
 225:3,18
specifics 214:21
specified 79:18
 108:1 198:16
 269:2
specify 89:12
 228:11 259:17
 264:20
specifying 266:9
specimen 224:7
spend 183:10,11
spending 183:9
 239:18
spent 101:17
 181:13 186:22
split 22:11 299:11
 299:18 300:4
spoke 101:19
 102:20 107:9
 236:18
spot 142:16
spread 280:2,2
squirrel 183:2
stack 92:17
staff 5:8 8:19,20 9:6
 13:20 15:17 19:14
 20:21 27:4 57:18
 155:6 210:1 221:1
 248:4 292:6 339:8
 339:12,19
stakeholders 18:12
 187:7 245:20,20
stamp 115:6,14
stamped 97:18

115:21
stamps 117:3
stance 88:13
stand 219:11
standalone 230:21
standard 26:15
 81:6 83:3 88:10
 108:6 109:13
 110:4,16 111:7,13
 111:14 115:3,12
 115:14 116:19
 127:10,12 128:4,7
 128:14,15,20
 137:12 149:10,11
 149:15 171:5
 220:10 221:16
 223:1,8,9 226:5
 237:2 334:20
 335:5
standards 4:6
 20:13 21:4 36:12
 36:19,22 37:1,11
 37:12,18 39:9
 61:22 70:9 81:11
 87:3,17 97:21
 109:19 112:13
 113:5,13 126:6,9
 127:14 139:10
 190:8 201:14
 222:12,17 223:19
 225:21 240:2
 266:19,21
standpoint 39:21
 68:7
stands 74:5 149:3
 217:4 319:19
start 47:21 48:13
 49:2 51:5 57:11
 62:8 75:22 185:10
 185:10 231:11
 311:5
started 6:1,10
 10:18 264:9 281:4
starters 13:17
starting 52:1 53:17
 184:1 185:16
 280:16
starts 51:21

- state** 1:16 45:14
61:3 95:18 155:9
168:17 183:3
188:6 192:5
197:11 199:18
201:21,22 206:22
218:10 241:9
246:3 247:16
254:20 255:5,10
255:13 304:7
317:10
- stated** 44:13 110:6
110:12 200:19
224:19 237:11,15
274:5 288:18
292:18 299:14
328:15
- statement** 82:9
240:14 291:10
- states** 8:21 176:18
176:21 177:1
216:13 231:14
237:10 242:16
294:17
- static** 168:22
301:16
- stating** 334:14
- station** 78:10,11
90:18 93:14 110:8
110:18 134:12,14
160:6
- stations** 78:2,2,11
80:3,11 104:19
264:13 276:21
298:21 301:14
- statistical** 210:15
- statistically** 205:12
208:3 209:15
210:7 211:6
- statistician** 182:2
210:1,4,8
- status** 55:12
- statute** 23:20 58:18
110:2 127:18
139:12 149:5
- statutes** 45:14 61:3
- statutory** 45:20
125:5 335:9
- stay** 145:10,13,21
147:4 287:13
- stealing** 185:11
- steel** 211:1 214:7
214:22 287:1
290:2,3 327:12,21
- steels** 113:18
- stemming** 235:5
- step** 176:16 182:19
215:19 303:16
307:6 338:16
- stepped** 9:7
- Steve** 2:5 77:15,20
81:9 94:2 96:9
100:7 107:19
118:14 121:5
124:7 125:19
130:2 133:5,14,17
133:20 136:2
141:15 153:17,22
158:13
- Steve's** 94:11
- Steven** 2:15 96:7
- stick** 240:2 282:6
- stop** 62:9
- stops** 51:21
- storage** 165:3
- stored** 100:3
- story** 248:8,8
- STR** 236:12
- straight** 336:11
- straightforward**
144:7 329:3
- stream** 78:5 92:20
- street** 285:21
- strength** 83:16
85:22 114:3
- strengthen** 292:22
- strengthening** 19:3
- stress** 97:11 182:3
327:13,16,22
329:22
- strict** 26:15
- stricter** 219:11
- strides** 184:12
- stringent** 112:1,3
112:13 144:2
- strong** 319:11
- strongly** 56:7
226:18 284:22
306:5
- structure** 53:20
79:13
- struggle** 155:4
156:19 239:17
247:1
- strung** 8:21
- study** 88:10 102:11
114:9 168:15
176:16 188:3
189:16 201:18
202:12,17
- stuff** 182:18 279:3
279:4
- style** 233:11
- sub-clause** 234:1
234:17
- subject** 23:3 45:11
62:7 66:22 70:16
71:7,19 72:18
126:14 183:19
200:21 202:19
218:4,18 226:11
295:16 314:6
326:6
- subjected** 78:20
108:2,7
- submission** 178:5
- submit** 7:13 107:7
335:6
- submitted** 53:14
60:9 111:10 187:4
205:20 213:19
222:8 326:16
- submitting** 70:1
185:5
- subpart** 80:21
85:19 197:19
200:14
- subparts** 200:6
240:10
- subsequent** 110:22
- substantial** 54:2
73:20
- substantiate** 277:7
- substantive** 156:8
156:9
- success** 338:20
- successful** 100:22
337:22
- suddenly** 174:6
- sufficient** 250:16
- suggest** 48:22 63:3
257:14 312:11
319:12
- suggested** 10:19
48:11 49:6 168:14
188:3 203:1 266:6
268:17 271:3,7
273:5 274:8
311:18 317:10
329:18
- suggesting** 63:16
222:9 299:11
- suggestion** 268:19
269:1 315:9
316:13
- suggestions** 328:5
- suggests** 49:13
- suitably** 268:4
- summarizing**
107:10
- summary** 28:9
34:18 189:10
191:9
- superior** 35:3
223:12 226:15
- suppliers** 56:9
- supplies** 217:10
- supply** 61:1 238:14
- support** 23:5,10,12
52:20 53:19 88:7
88:13 102:7,13
103:12,13 108:10
119:18,22 142:14
150:5,9 167:9
170:20 175:10
182:6 200:18
207:3 224:19
236:10 245:8
273:7 305:21
310:1 312:18,19
312:20 328:15
- supported** 36:3,20

39:20 47:19 52:9
 90:21 99:14
 102:18 166:16
 167:5 224:15
 226:18 265:14
 266:6 270:21
 273:11 326:17
 328:4
supporting 23:7
 46:13 266:5
 272:22 290:11,16
supportive 296:3
 315:2
supports 54:7
 90:16 93:12 99:15
 99:17 107:13
 160:4 170:16
 173:2,9,16 206:13
 210:2 225:20
sure 6:19 23:17
 64:15 65:3 69:1
 69:12 92:22
 115:21 118:13
 119:16 122:19
 123:13 124:14
 127:15 132:12
 135:10 136:6
 140:2 143:9 148:5
 148:11,12 151:2,9
 152:20 153:3,12
 153:13 154:12
 157:3 158:15
 183:16 188:13,19
 188:21 189:11
 191:6 203:19
 210:15 213:3
 216:22 217:8
 240:1,20 241:6
 242:4,15 244:3
 256:1 291:7,20
 293:8 305:14
 308:7 317:8 318:6
 337:20
surface 289:19
surfaces 290:4
surprised 156:5
surrounding 50:4
surveillance 200:9

240:11
survey 31:15,17,17
 31:20 265:19
 274:11,14,16
 283:18 285:16,18
 286:7 287:11
 288:20,22 289:3
 292:10,20,22
surveying 278:15
surveys 31:18
 265:8,21 266:3,17
 268:22 269:6
 274:12 275:9
 276:22 277:1
 281:20 290:13
 292:13 293:1
 295:12 298:22
 299:1 301:15,16
 316:8
Susan 2:13 55:20
susceptible 268:3
suspension 25:12
sympathetic
 248:13
synchronization
 282:15 283:2,6,21
 286:9 295:9,10
 298:2
synchronize 283:8
synchronizing
 283:10 285:13
Syncing 269:5
syncs 284:1
system 17:3,8 20:2
 20:12 39:14 40:12
 41:5,8 48:16
 73:15 97:5 111:1
 119:6 148:5
 176:17 179:21
 187:2,6 190:6
 197:22 198:7,17
 198:18 200:22
 201:2 254:1 273:3
 279:22 280:4,12
 283:14 287:5,22
 288:21 289:6,7
systemic 314:7
 316:18 323:8

systems 19:19
 103:3,10 198:11
 199:2,10,11,14,16
 200:13,16 201:9
 201:19 202:1,7,22
 203:21 228:5,7
 236:20 243:16
 248:2 287:10

T

table 66:11 225:2
 225:10 228:11
 236:11
tables 226:22
 259:16
tact 287:15
TAHAMTANI 2:4
tailored 56:12
take 4:22 7:3 11:5,9
 14:5,13,16 20:7
 66:5 75:16 80:17
 81:14 86:15 90:15
 92:19 93:11,22
 111:7 133:5
 155:21 156:7
 160:3 161:13
 164:7,13 179:18
 182:15 192:6
 194:1 195:17,22
 241:21 244:3
 249:16 250:18
 258:1 265:21
 270:16 285:10
 290:14 301:1
 302:1 309:8 312:8
 312:13 313:5,13
 319:14,16 321:11
 332:7 334:9
 335:12
taken 87:22 157:13
 315:7
takes 31:7 33:10
 34:12 175:19
 231:22 333:19
 339:9
talk 4:16 21:13
 109:10 113:8
 229:8 239:8,13

254:18 338:6
talked 72:7 73:13
 153:5 179:11
 293:10
talking 4:18,20 9:6
 40:1 63:10 81:10
 92:15 133:8
 146:16 186:3
 282:20 288:15
 308:17 316:2
talks 234:11
tank 201:4
tanks 98:4 123:4
tap 28:4 29:2 40:5
 40:22 41:1,11,19
 42:1,4 43:9,21
 45:8,10,22 46:22
 47:7,11 48:12,16
 49:2,18 50:7,13
 51:21 52:17 53:15
 54:15,15 55:12
 58:3,5 60:4,6 62:5
 62:10 64:1 65:8
 65:11,15,17 74:6
 241:17
tap's 64:12
taps 3:4 14:6 21:1
 21:22 22:4 27:21
 28:14,15,18 29:6
 29:11,16 35:22
 39:18 40:2,17
 42:7,20 43:2,6
 44:9,10,11,14,22
 45:13 46:5,15,18
 46:19 47:5,12
 48:2,21 50:5
 53:12 56:8,18
 59:10,13,19 60:4
 60:13,21 63:18
 65:5 68:20,20
 70:6,15 72:3,21
 74:7 75:6
task 24:14 285:15
 286:5
tasks 98:13 266:16
 269:7
tax 53:19
TC 35:1 48:11

166:20,21
team 50:20 60:7
 209:22 213:18
 264:4 300:16
 337:18
teams 4:13 11:2
 210:3 339:16
technical 39:21
 88:7 91:16 155:17
 157:19 221:7
technically 75:7
 102:12 150:21
 159:21 193:10
 259:12 262:4
 298:16 301:9
 318:17 319:5
 320:21 323:2
 331:18
technics 113:16,20
technological 16:2
technologies
 113:19
technology 15:15
 15:18 31:2 264:19
 267:7 282:18
 293:2 326:1
teeing 316:17
tell 9:4 68:19 97:9
 285:14 286:14
 306:11 338:11
temperature
 227:16
temporarily 123:5
temporary 98:3,13
 106:14 118:11,18
 118:21 119:11
 120:11 123:2,3,7
 129:10,20,21,21
 135:7,13 160:16
 160:18
ten 26:21 27:5,18
 34:12 130:19
 325:9
tend 174:1
tens 198:6
tensile 224:5
term 40:5,8,22
 135:6 184:9 210:3

210:7 223:17
 275:18 276:2,6
 277:3 284:6,12,17
 284:21 285:4
 288:13 291:17
 293:13,15 294:3
 296:10 297:22
 298:5 307:12
 308:14,16 329:19
 330:3,15
terminology 46:17
 208:18
terms 40:20 58:7
 58:15 59:4 69:4
 72:9 105:8 106:10
 139:2 140:18
 155:3 169:1
 210:18 217:4
 219:10 248:6,9
 249:11 252:10
 254:8 318:15
terrific 318:1
territory 184:1
Terry 1:22 12:4
 76:8 162:12
 194:15 260:19
 263:1 302:13
 321:21 324:12
 332:18 336:17
test 3:5 14:6 38:7
 78:12,21 79:9,15
 80:20,21 81:15,22
 82:13 83:6,8,10
 84:4,5,11 85:17
 85:19,22 88:3
 89:12,13 90:3
 91:1,13 93:5
 95:11 97:9,15,17
 98:9 99:14 100:5
 100:16 101:2
 102:8 105:13
 106:17 107:15
 108:2,13 109:2
 110:13,16 114:3,4
 114:5,5,13 117:18
 118:6 119:10
 121:19,22 122:22
 146:10 154:6

221:19 224:5,6
 327:4 329:21
tested 68:4 78:15
 85:12 93:1 97:19
 102:16 107:22
 110:7,15,17
 119:14,14 123:11
 160:9 224:10
 327:5 328:7
tester 105:6
testing 14:11 22:5
 77:17 78:10 79:9
 79:17 81:12 82:11
 83:13 84:7 87:10
 88:17,19 90:5,9
 90:10,14 93:10
 94:10,12 95:9
 97:1 99:9 100:1
 102:15 103:13
 107:11 108:14,15
 108:22 109:19
 111:1 115:5
 117:15 118:2,15
 118:16,17 121:9
 122:16 127:10
 129:11 146:7
 149:10 150:20
 151:21 153:2
 157:14 159:20
 160:2,14 221:17
 225:22 327:7,11
 328:20 329:10
tests 77:13 84:8
 105:19 108:18
 330:5
text 127:5,18 222:7
 224:12 227:5
thank 5:12,14 8:18
 9:17,21 11:17,18
 13:11,17 15:5,9
 15:19 18:1,9
 20:12,15,18 21:2
 21:6 39:22 51:3
 51:10 52:22 53:4
 55:13,15 57:4,5
 57:18 58:11 59:17
 61:14 62:15,19,22
 64:3,5,8 66:3,6,7

67:14 68:17 73:3
 74:9 75:11,15
 77:10,11,14,19
 81:8 82:19 88:21
 94:2,8 96:4,6,10
 96:14,15 101:2,3
 101:8 104:2,4
 106:17,19 107:2,3
 109:3,4 112:14,16
 120:1,2 121:4,13
 124:7 127:1 129:1
 129:3 131:10,18
 132:22 136:1
 138:15,17,19
 139:16 140:12,12
 142:1,3,17,19
 144:12,13 149:19
 157:7,9,11 158:5
 158:6 161:6,22
 163:10,22 164:13
 170:11,13 172:13
 172:15,21 173:12
 173:13,15 174:17
 174:19 175:3
 177:11 178:8,16
 178:17,19 181:8
 181:11,11,19,20
 181:22 184:18
 186:15,16 187:21
 188:1 189:13,19
 191:12 192:13,19
 193:18,21,22
 195:16 196:9,13
 196:22 197:9
 199:4 202:19
 204:12 209:7,13
 209:20 211:18
 212:15,17 213:12
 213:16 214:11
 215:12,15,16,21
 217:17,21 219:4,5
 219:18 228:17
 235:13,15,17
 238:20 239:1,11
 240:15,16 243:2
 243:12 244:2,6,9
 244:21 245:13
 246:20,22 250:22

252:14,17 255:12
 256:13,21 257:13
 259:6,21 260:3
 261:15,17,20
 262:7,9,10 263:20
 263:21 281:10,11
 282:11,13 284:2
 285:6,8 288:7
 290:5,6,18 291:7
 293:20 294:13,22
 295:1,2,4,13
 296:3,20,21 297:6
 298:9,10 300:15
 301:3,17,21
 303:14,21 306:10
 308:10 311:15
 319:7 323:13
 325:10 330:22
 331:12 332:1,5
 333:18 334:6,7
 335:14 336:4,5
 337:14,17,22
 339:8 340:1,2,9
thanks 9:16 13:16
 15:12 51:13,15
 52:20 67:15
 124:19 148:21
 149:2 152:17
 203:15 212:14
 242:21 334:4
 339:6,12,21
That'll 60:14
that's 10:12,13,17
 14:20 34:14 39:19
 42:5 43:13 45:5
 48:8 56:11 59:2
 61:18 64:19 68:13
 70:12 78:6 79:9
 82:3 83:20 92:18
 97:12 102:15,17
 103:1 109:3
 111:11 114:22
 115:15 116:20
 117:4,19,20 118:2
 120:12 123:14,22
 126:9 128:22
 130:4,11,21 131:1
 132:11 135:8,9,12

135:16,21 136:17
 136:20 139:1
 145:21 146:3
 147:6 151:18
 154:12 157:1,7
 159:9 161:21
 175:7 179:4 181:4
 181:7 183:12
 184:6,8,16 188:11
 188:21 189:8,17
 190:9 191:1 196:3
 196:5 203:11
 210:6,16 211:5,19
 218:13 220:12
 233:9 242:5
 244:11,22 248:8
 248:10 249:8
 250:18 252:8
 253:4 254:20
 255:9,10,11,13,14
 256:8,16,19 280:5
 281:8 282:10
 286:9 290:22
 292:9 294:15
 295:5,21 305:10
 305:14 306:2,14
 307:9 308:8,19
 309:5 310:1
 313:20 315:6,9
 319:21
theories 83:17
theory 83:18
there'll 315:19
there's 6:21 14:21
 21:11,14 30:7
 53:18 59:3,7 63:3
 70:19 71:1 80:11
 84:13 181:15
 183:1 203:13
 214:4 234:21
 240:5 251:17
 254:12 267:13
 279:20 285:18,22
 315:13 339:1
Theresa 35:4
they'll 282:6
they're 58:15,16
 105:9 115:11

116:17 198:2
 204:10 211:1
 214:3 229:7
 233:17,18 247:22
 254:22 281:2
 296:14 307:1,1,2
 307:3 327:17
they've 116:14
 339:10
thickness 220:9,14
 221:5 223:18
 225:3,5,7,13,17
 226:22 228:11,12
 236:12,14,15,16
 236:19 237:7
 238:7,8,17 259:16
 259:17
thing 40:5 63:2
 92:14 114:22
 123:12 138:5,9,13
 151:18 156:11
 183:9 194:4 282:4
 290:1
thing's 306:17
things 13:13 19:22
 58:22 60:4 67:2
 71:4 113:8 114:15
 116:11 119:5
 122:20 144:11
 156:20 182:12
 183:10,20,21
 185:13,15 191:21
 213:8 241:5
 248:17 278:7
 281:6 288:5 307:1
 312:19
think 7:4 13:22
 14:22 15:4 17:22
 19:22 26:6 50:15
 56:11 57:8 59:2
 63:3,17,19 64:2
 64:11 65:7 69:14
 72:12,14 73:12,22
 74:14 76:19 94:14
 95:16 107:9
 109:16 112:13
 114:8,17,22
 115:15 116:1,2,4

116:20 117:4,12
 117:14,16 118:5,8
 118:10,14,16,17
 118:19 119:12,20
 124:22 125:19,21
 126:11 127:6,16
 127:19 128:11,13
 128:18,21 132:3,9
 134:9 136:5,17,20
 137:5,7,8,12,14
 137:16,20 138:1,6
 138:8,14 139:6,8
 139:12 140:2,13
 140:16,17,19
 141:21 143:1,22
 144:6,8,9,19,22
 145:19 146:1,3,5
 146:7,12,19,22
 147:11 148:15
 149:3,5,12 151:15
 154:1 155:15
 156:2,14,15 157:4
 158:4,13 159:9,11
 176:4,7,9,15
 177:2 178:10,13
 178:15 181:17
 184:7,11,12 185:2
 185:6,18 186:1,12
 187:11,14,19
 188:14 189:3,7,9
 190:9 192:2 193:1
 204:13 213:6,6
 215:8 218:16
 219:7 228:22
 229:4 241:8
 247:16 249:8,20
 250:2,7 251:13,20
 252:1,4,19 253:4
 253:15 254:6
 255:2 256:22
 257:2,21 258:20
 267:16 278:16,20
 281:16,22 282:7
 283:21 284:8,9,12
 284:20 285:1,4
 286:18 287:16
 291:17,19 292:1
 292:14 296:12

- 297:9,15 298:3,3
299:21,21 300:19
300:22 307:5,17
307:21 308:1,17
312:20 313:2,11
313:13 315:9
317:10,16,21,22
318:5,8,14,15,21
319:16,21 320:5
320:15 331:9
336:10 337:16
339:5 340:6,8
thinking 139:15
153:19 155:6,7,19
182:20 216:22
247:22 284:14
318:1
thinks 154:16
third 52:6 87:4
129:6 130:4 133:7
135:7,13,15
154:19 233:10
234:14
third-party 199:3
thorough 140:15
141:2 148:20
thoroughly 132:10
151:14 152:10
161:3
thought 63:12
73:18 108:17
112:21 118:11
139:2 151:19,22
152:21 153:13,22
154:4,9 155:18
184:21 185:7
300:5 305:5 309:1
314:4 316:12
thoughtfully 155:1
thoughts 157:7
309:1 337:19,21
thousand 174:10
thousands 198:6
thread 232:5
threads 310:15
311:7
threat 32:16 117:9
117:10 250:9
- 279:19
threats 60:13
103:16 198:18
249:16,21 270:2,4
270:18 275:11
294:10
three 7:20 18:6
28:20 29:1,13
30:14 42:5 68:5
132:19 137:15
160:13 195:19,19
196:18 228:18
239:3 257:15
258:16 268:10
269:16,20 271:21
274:10 279:4,16
280:18,21,21,22
283:9 289:16,20
304:4,15,17
307:18 308:3
310:18,22 311:12
338:13
three- 273:1
three-year 271:3
280:13 282:3,7
284:1 286:13
287:13,15 288:20
316:22 317:13
323:12
threshold 147:9
166:17,20 167:6
167:10,21,22
168:3 170:17,19
170:22 171:16
173:5,10,17,18
176:10 177:11
180:5 193:9
thresholds 176:19
176:21
throw 281:18
throwing 158:3
ticket 248:12
tie-in 90:10,18
92:11 93:14,19
107:12 108:18
134:7 160:6,11
tight 84:10 97:10
tighten 153:20
- tightening** 95:18
142:15 153:16
288:1
tighter 287:5,11
time 10:20 13:14
20:8,16 22:9 30:6
31:14 50:16 62:18
73:18 88:3 95:21
105:14,17 113:5
115:20 119:21
123:11,20 126:4
128:14 156:6
164:11 165:8,22
168:9 169:1 170:5
180:7 181:12
183:9 187:1 192:1
203:14 206:12
212:11 213:4
228:20 229:7
235:14 239:18
245:8 257:1
267:10 284:8
288:22 289:5
304:1 318:4
325:12 336:7
339:15,15
timeline 283:10
times 6:18 33:8,19
51:15 73:14 78:13
78:21 79:3,18
84:18 85:1,12
89:3 109:13,14
110:4,5,7,14,17
111:15,15 127:21
128:5,19 138:22
155:8,12 184:22
264:14 267:4
timing 166:1
299:21
tip 78:8
titled 24:4 202:5
today 5:15,19 6:2
6:12 8:19,22 9:6
9:11 13:21 14:4
15:8,11,14,18
16:1 18:11 19:9
20:16,20 21:18
22:2 23:1 43:15
- 55:9 73:2 74:3
101:9,19 111:3
120:11 125:17
126:19 131:5,20
135:3 141:18,22
218:5 295:9
333:20 336:7
337:16 338:18
339:13
today's 171:19
tolerance 226:4
tolerances 225:18
toolbar 11:2
tools 8:13
top 16:18
topic 3:4,5,7,9,9,10
3:12,12,14,14
9:12 14:20 21:18
23:4,10 35:22
39:18 50:7 59:20
61:5 66:9 102:11
140:14 220:2
221:10 264:1,1
326:22
topics 8:22 14:5,13
14:15 16:8 22:9
22:12 23:1 27:10
36:17 39:16,17
180:4 196:15,18
220:5 223:14
227:19 228:15
264:8 276:14
277:14 281:13
330:8 339:2
total 29:20 32:2
33:12 231:3
244:17 245:6
totaling 177:6
totally 61:9 67:13
touched 183:20
TR-33 226:7
TR-4 227:4
TR-41 226:7
track 186:5 252:2
trade-offs 180:8
tradeoff 254:4
trades 35:5
traditional 40:12

traditionally 54:17
trailer 95:6 119:2
 198:3
trailers 104:17
 119:3
transactions 113:6
transcribed 335:20
transcript 7:17 10:9
 10:10,22 23:18
 334:14,21 335:7
 335:19
transfers 55:3
transmission 1:18
 19:18 25:21 29:17
 34:11 40:10 41:22
 42:13 43:17 44:15
 48:4,10,20 49:9
 49:19,22 52:3,12
 52:15 54:20 55:5
 59:1,6,9,22 64:19
 69:11 73:15 84:19
 96:17 104:12
 236:5 247:5
transport 118:8
 119:17
transportation 1:1
 1:13 5:22 10:1
 16:11,22 17:3
 25:2,5 39:14
 102:22 122:5,20
 201:17
transported 86:4
 122:1
transverse 175:7
TRB 201:18,20
 202:5,12,17 228:5
TRC 2:18 230:8
treated 38:22 53:16
 65:14 100:20
 310:11
treatment 248:1
trend 169:4 212:2
trended 211:5
trending 169:13
trends 168:9,22
 169:2 182:5
 205:13 206:11
 207:17 208:3

211:7,13 215:10
 250:1 251:21,22
tries 142:21
triggers 307:6
trivial 248:21
trouble 243:8
true 82:8 172:11
truly 67:7
trust 35:17 38:6
 86:7 88:6 112:6
 127:3 132:11
 168:2,6,10 201:12
 207:11,21 224:17
 265:13 274:1
 292:15 317:22
 326:19 328:16
trustworthy 318:3
try 26:12 66:5 72:17
 72:19 73:1 114:14
 119:9 145:18
 182:5 186:13
 252:21 262:1
 278:13 286:17
 287:13 288:14
 315:15,16
trying 15:18,21
 52:5 56:1 59:20
 61:10 66:2,13
 71:18 116:8,16
 117:1,22 131:2
 132:1 133:2
 135:10 138:4,13
 142:8,17 158:19
 178:1 186:6
 210:16 216:17
 250:13 252:8
 297:2 332:21
turn 4:17 5:7 9:14
 13:22 14:19 20:21
 21:1 57:9 93:22
 109:6 124:3
 174:21 196:20
 197:7 253:13
 333:21 334:3
 339:5,20
turned 133:3
turning 286:20
Turpin 1:22 12:4,5

76:8,9 162:12,13
 194:15,16 260:19
 260:20 263:1,2
 302:13,14 321:21
 321:22 324:12,13
 332:18,19 336:17
 336:18
twice 326:3
two 7:10,20 24:6
 27:20 37:15 51:22
 52:11 120:20,22
 130:9,18 131:4,6
 131:7,21 135:18
 157:1 160:7
 173:10 222:11
 225:17 231:17
 237:8,15 248:11
 255:9 258:15,18
 263:20 264:2,8
 273:9 277:14
 278:1,21 283:2
 288:5 289:4 295:7
 298:7 299:4 304:2
 312:13 313:1,12
 315:11,16 317:6
 319:16 321:3
 325:9 332:11
 338:13
Two-For-One 24:8
two-thousandths
 238:8
type 71:7 79:10
 96:3 122:20
 130:12 171:7
 178:1 210:13
 214:22 235:9,12
 245:12
types 210:21 211:3
 211:8,9 214:2
 232:15 250:6
typical 41:5 171:5
 174:3 198:7,11,16
 211:2 217:13
 250:4
typically 40:20 41:7
 41:10 42:14 91:9
 198:3,9 201:3
 210:22 214:7,8,21

214:22 215:2
 288:15
typing 160:6

U

U.S 1:1 238:4
Uh-huh 82:20
ultimate 217:11
 318:7
ultimately 73:12
 141:20
un-intention 99:9
unaffected 69:18
unanimity 313:18
 313:22 315:18,20
unanimous 77:10
 163:10 261:16
 303:13 333:16
 337:13
uncertainty 241:16
unchanged 165:16
unclear 110:2
 120:7 129:8,13
 188:2
underappreciated
 247:10
underground 165:2
underneath 95:8
underscore 74:4
 181:14
understand 57:1
 66:2 116:22 121:2
 128:22 129:9
 130:22 145:5
 175:4 180:4 181:4
 199:21 213:15
 231:7 240:21
 244:11 245:12
 248:15 250:9
 251:12 284:11
 293:4 307:19
understanding
 58:4 64:15 179:20
 180:1 189:18
 190:20 239:19
 244:13 245:7,9
 252:14 282:16
 304:7 305:14,16

305:20 306:1
understands
 291:21
understatement
 136:15 159:6
understood 128:8
 157:3 181:19
 255:8 256:1
undertake 189:16
unfolded 138:7
unfortunate 338:6
unintended 99:10
 106:8 108:21
unintentional
 164:22
unique 41:3
United 8:21 237:9
units 95:8 98:15
 327:12 328:8
 331:18
universe 70:13
University 1:19
unknown 214:16
unmute 254:13
unmuted 86:20
unnecessary 87:8
 99:5 173:7 199:14
 271:4
unodorized 65:19
unplanned 38:15
unregulated 29:7
 29:11 44:12 45:9
 46:9 47:14 57:2
 61:1 69:7 71:10
unsafe 90:6
unwind 117:6
 138:15
update 48:19
 139:15 167:9
 170:16,21 227:1
 287:18
updated 37:3 43:12
 221:1 225:21
updates 32:18
 36:21 37:11,14
 166:8,12 167:14
 167:18 169:22
 193:17 209:5

updating 173:9
 226:21
upgrades 99:7
 100:11
upgrading 248:1
urged 56:7
usage 130:10
 160:21
USC 152:12 161:4
 334:16
use 4:15 21:15
 50:19 71:20,20
 83:22 85:21 91:13
 94:17 95:1,2 96:2
 96:3 98:11 102:7
 113:20 174:7
 185:20 187:9
 190:17 191:10
 210:7 212:11
 215:9 224:1 225:9
 238:2 243:19
 273:10 288:13
 293:15 326:7
useful 178:22
usefulness 203:2
 248:9 254:8
user 181:13
users 238:10,12
 243:19
uses 73:19 119:11
 236:22
Usually 311:6
utilities 1:13,17
 5:22 10:1 247:21
 283:17 286:8
utility 247:9 285:14
utilize 60:12 237:6
utilizes 98:2
utilizing 200:8
UV 226:3

V

validate 145:13
valuable 206:22
 207:13
value 147:17
 167:11 179:12
 282:14 283:6,21

289:12 311:11
 338:4
values 236:12
valve 55:1 95:3
 104:18,21 105:12
 130:12 174:8
 231:19 292:11
 293:10
valves 78:6 123:6
 174:1 238:14,15
variability 49:3
variable 49:1
varies 268:6
variety 16:8 23:2,7
 54:15 155:9,11
 245:19
various 8:22 56:20
 179:10 246:4
vast 17:3
vaults 268:2
vehicle 72:5
vent 92:17 106:5
venting 92:19 93:2
venue 72:4 73:2
verbatim 334:21
verbiage 315:3
verify 84:9
versions 37:3
versus 30:14 42:11
 135:3 257:3 282:3
 287:20
vessel 3:5 14:6
 22:4 77:12,17
 78:17,19,22 79:2
 79:4,6,15,19,22
 80:20,22 81:15,20
 82:2,22 84:8,10
 84:12,16,22 85:13
 85:18 86:2,3,10
 87:6 88:9 89:2,6
 89:11,19 90:12,15
 90:22 91:5,18
 92:5,7,11,16,18
 93:5,12 97:7,10
 97:12,19 98:8
 99:10,14,16,21
 100:9,12,16,20,21
 101:15 102:15

103:15 105:6
 108:14 109:3
 110:6,12,15,16,22
 115:11,14,18,21
 118:7 121:17
 122:1,4,8,9,11
 123:22 134:20,22
 134:22 135:1
 154:7 157:14
 256:6
vessels 77:21 78:1
 78:15,20 79:17
 80:2,7,10,17
 85:10,14,15,21
 87:5,10,19 89:14
 90:4,9 91:7,14
 92:3,15 93:16
 94:11 95:6 96:22
 97:4 98:1,3,4,5,12
 99:6,17 101:21
 102:14,21 103:8
 103:11,14 105:10
 106:17 107:17,21
 108:4,11,22
 109:12,19 113:13
 115:6,7 117:1,7
 117:18 118:1,12
 123:2,3 129:22
 130:12 134:3,10
 135:5 146:11
 150:21 159:20
 160:7,15,15
vet 159:3
vibration 231:22
vice 53:6 278:9
video 4:13,15,17
Videoconference
 1:11
view 86:13 125:20
 172:11 306:3
 307:12
VIII 78:16,19 84:15
vintage 212:10
violation 109:14
Virginia 45:7
 236:22
virtual 6:12 15:20
virtually 4:13

268:13
VIS 190:15
visit 279:21
visited 30:15
visiting 280:6
visual 91:4,9 97:7
 100:22 118:7
 119:15 121:9
 221:17 316:9
visually 91:2 97:12
 224:9
vital 17:7
voltage 265:4
voluntarily 48:1
 52:14
Voluntary 187:1,5
volunteer 261:19
 298:8 303:20
 320:14 322:20
 331:11
Vorys 1:14
vote 3:3,5,7,8,11,13
 22:3,4,5,12,16,18
 23:14,15,16,17
 74:15 75:16 158:9
 161:13 181:5
 194:1,2,10 196:19
 240:7 257:15,17
 258:1,2,3,12,21
 260:5 299:11
 302:1 304:13
 312:8 313:12,14
 321:16,18 322:2
 323:18,22 334:8
 335:12,16
votes 14:5,14,16
 22:3,8 23:18
 258:8,16,19 298:7
 312:13 314:1
 315:16 317:6
 318:15 319:16
 332:9 335:22
 336:6
voting 124:11,21
 129:7 132:20
 133:6 140:19
 142:10,11 153:7
 153:14 154:20

158:15 257:3,4
 334:14,17 335:7

W

W 1:11,13,14
wait 213:10
waiver 201:21
walk 286:1,2 289:7
 310:1
walking 240:21
 287:12
wall 220:9,13 221:5
 223:18 225:3,5,7
 225:13,16 226:22
 228:10,12 236:12
 236:14,15,16,18
 237:7,14,18,20
 238:7,8,17 259:16
 259:17 286:2
want 15:2 50:18
 58:10 63:2 64:14
 65:2 111:4 114:14
 118:13 119:13
 124:20 126:22
 127:5 129:5
 133:13,17 137:15
 137:16 144:20
 147:6 149:4 150:1
 151:2 153:6
 156:17 157:2
 163:16 177:14
 181:16 182:2
 183:14,17 184:7
 184:21 185:1,21
 186:21 187:14,18
 189:10 191:4
 192:15 194:1
 195:17 203:19
 211:22 212:20,22
 213:3 216:22
 217:6 229:2,5
 238:20 250:20
 257:11 284:5
 285:4,9 288:11
 289:16 290:15,19
 291:5 292:4 293:8
 296:6,8 299:11
 300:3 301:1 304:6

307:16 314:2,10
 320:8 332:8 338:6
wanted 8:16 51:17
 81:9 107:6 113:7
 119:18 120:5
 124:14 132:19
 133:12 135:17
 152:5 154:12
 191:16 204:5
 212:14 213:13
 239:15 240:14
 243:8 254:17
 256:1 267:13
 288:6 291:1 317:3
wanting 229:8
wants 71:2 177:18
Ward 2:17 170:8,9
 170:13,14
warrant 137:6
Washington 1:13
 5:22 10:1 191:13
 242:7
wasn't 294:4,11
WASSEL 2:8
water 95:12,14
 99:13 103:7,16
 117:22 172:8
 330:5
way 38:9 70:3,5
 73:8 99:6 112:11
 124:14 129:18
 130:8,18,21 139:3
 142:15 148:13
 190:5 212:12
 229:1 253:1 283:8
 286:3,13,14
 313:15 318:5
 319:21
ways 142:21
 242:19 318:16
we'd 39:15 100:18
we'll 6:20 7:16
 14:19 22:16 28:8
 39:16 40:1 61:6
 62:13 75:22 93:15
 124:21 125:18
 148:11,15,17,19
 161:14 180:2

196:6 212:7 229:6
 229:7 241:8,21
 242:14,19 244:3
 251:5,6 257:21,22
 258:2,3 259:1
 260:8 300:17
 305:8,11 319:16
 320:7 325:16
 335:12 336:9,11
 339:2,17
we're 9:6 14:3,22
 15:17,21 18:11
 20:15 21:22 22:2
 22:7,8,22 27:17
 39:18 40:1 43:14
 50:15 71:14,18,22
 72:5,22,22 73:1
 74:2,14 92:14
 118:20 122:15
 124:11 126:5
 129:16 131:5
 132:9 137:10
 138:7 149:15,15
 152:13 159:16
 176:2,8,14 178:14
 183:9,13 184:22
 185:2,3,7,10,11
 185:13 186:3,6,12
 186:13 187:12
 189:11 196:14,15
 212:5 213:1
 215:19 216:22
 219:21 223:16
 228:19,22 240:7
 242:7,7 244:7
 250:17 251:2,21
 254:18,21 257:10
 258:3 263:22
 277:13 280:16
 281:4 282:19
 286:18,20,22
 287:8,8,9,11,11
 288:1,2,4,14
 289:18 290:4
 293:6,11 294:15
 294:16 297:18
 298:6 300:10,19
 304:12 311:20

312:16 317:17,19
 318:6,10 320:6
 337:18 339:15
 340:6
we've 9:9,10 10:19
 19:21 67:5 69:6
 71:12,14 120:10
 131:19,20,20
 132:18 135:13
 139:11 176:9
 177:19 179:11
 186:11 189:7
 212:12 216:4
 242:12 247:3
 251:20 252:4
 265:11 289:19
 292:14 298:3
 300:22 306:6,19
 308:14 338:11
weaving 308:14
web 169:8
website 10:12
 43:12 167:19
 202:8 213:21,21
 250:3 253:12
WEDNESDAY 1:8
week 130:17
weeks 7:20 338:13
weight 99:12,18
welcome 4:7
weld 231:18,20
 232:11,13 233:1
 234:1,10,17
welded 82:5
welder 3:14 14:10
 326:7
welding 22:19
 23:12 113:20
 204:20 325:13,20
 326:2,14 330:7,12
 331:4,16
well-established
 99:3
went 8:20 113:14
 116:1 130:17
 136:19 153:22
 154:5,9 159:8
 196:11 286:15

340:11
weren't 69:14
west 45:6 163:14
 236:22
Western 96:18
what's 58:14,20
 59:15 81:19 126:9
 127:19 185:14
 187:16 195:20,20
 217:14 218:16
 232:2 299:12
 305:10
wheat 182:22
whichever 148:13
who's 5:21 13:20
 39:20
Whoops 13:17
wide 54:15
Williams 2:17
 173:14,15
willing 74:19
 150:14 193:3
 240:7 242:8 259:5
 299:17 335:17
willingness 143:7
 144:4
Wilson 1:23 243:7
 259:20 288:10
 296:9 301:20
 306:5 310:8
 314:16 331:14
 335:19
winter 297:18
wipes 192:3
wire-brush 306:16
 309:4 311:2,8
wish 11:3 73:5
 131:13 243:2,4
wishes 239:9
 277:21
wishing 229:12
withdraw 54:8
 299:18,20,22
 320:6
withstand 99:17
 101:2
witness 16:13
won't 216:20

252:12
wonder 248:19
 296:1 312:13
wondering 65:21
 120:19 163:14
 177:10 188:7
 191:3 244:17
 248:7 282:22
word 211:6 241:22
 242:18 306:13
 331:22
wording 134:10
 292:8
words 34:7 41:22
 44:1 87:18 133:10
 134:11,19 158:15
 211:10 231:11
 274:13
work 17:11 95:21
 104:7,11 105:20
 174:2 185:18
 219:13 242:13,15
 242:19 282:17
 285:16 286:2,19
 289:10 333:20
 338:1,2,15,21
 339:16
worked 16:7 19:21
 60:6 101:11 102:3
 180:18 314:18
worker 80:8,10
 81:11
working 19:5 20:12
 43:10 71:12 78:22
 79:4 187:2 287:9
workload 199:18
workmanship
 234:6,12
works 167:4 219:17
 320:1
world 101:13 176:4
 278:17
worries 284:10
Worsinger 1:23
 12:16,17 75:13,14
 76:16,17 157:10
 157:11,12 162:20
 162:21 195:1,2

243:5,6,6,12
 244:5 259:8,19
 261:5,6 263:9,10
 288:8,9,10 290:19
 290:21 296:8,9
 301:18,19,19
 302:21,22 306:3,4
 306:4 310:6,7,7
 314:14,15,15
 322:7,8 323:14,15
 324:1,20,21
 331:12,13,13
 333:6,7 335:16,18
 335:18 337:3,4
worth 282:5
wouldn't 191:17
 253:20 312:22
written 7:13 53:14
 125:15 126:19
 130:8,21 141:13
 173:8 188:9
 223:11 230:18
wrong 190:3 283:3
 283:4

X

Y

yeah 61:18 63:13
 70:8 81:8 177:14
 177:17 191:16
 242:10 250:12,21
 252:15 254:17
 256:10 257:5
 261:22 281:16
 290:8 292:5
 306:11 309:9
 314:3 316:12
 320:10 334:6
year 16:5 27:14
 29:21 30:6,19,20
 31:4,13,18 32:10
 32:21,22 33:2,5,6
 33:18,19 34:2,16
 37:6 105:2,21
 167:13 170:20
 175:13 176:3
 189:5,5 205:21

206:16,18 208:2
 210:11 214:1,13
 214:14 251:3,3
 264:14 273:2
 276:22 287:19,20
 288:21 298:21
 301:14 310:3,22
 326:4,8
years 16:8,12 28:20
 29:1,13 30:14,14
 32:18 42:5 52:11
 68:5 71:13 101:13
 101:17 102:4,5
 104:10 111:11,14
 113:4 116:2
 130:18,19 131:4,6
 131:7 145:8
 155:12 173:5,11
 181:9 182:4
 184:11,16 189:6
 189:12 207:22
 211:5 214:8,16
 215:8 237:4
 238:19 247:4
 268:10,20 269:16
 269:17,20 271:21
 274:10,21 275:8
 275:16 279:4,5,16
 280:7,21,21 281:1
 289:13,14,17,20
 295:10 300:6,8,11
 304:4,5,15,15
 305:7 307:18,22
 308:2,3,21 310:18
 311:5,10,12
York 1:16 65:17
 96:18 184:4
you'd 135:1 304:17
you'll 6:3 7:15 19:9
 244:12 338:12
you're 6:19,22 9:10
 16:1 92:17 108:22
 133:8 135:22
 161:17 178:1
 182:4 202:9
 211:11 250:14
 251:10,14 253:6,8
 253:9,11 280:6,22

281:1 289:3
 294:14 296:18
 309:15,15 310:13
 310:14,15,18
 311:3,9 316:2,3
 316:14 317:11
 319:20 320:5,15
you've 13:19 22:1
 55:17 92:17 121:6
 121:8 122:17
 156:3,12 182:13
 253:7 280:18,20
 280:20 308:21,22
 309:19,20 310:2,3
 317:3 338:21,22

Z

Zamarin 12:18

195:3

zero 18:19 20:3

282:9

Zoning 1:20

0

0.099 237:4,7

0.099- 238:16

0.099-inch 236:16

237:14,18,19

259:17

0.101 228:13

0.101-inch 236:15

259:18

0.119-inch 236:19

0.2 31:7

0.32 220:7 237:21

0.40 220:7,20 221:7

223:1 237:22

0.57 30:20

0.95 33:15

01 113:11

04 114:18 116:9

137:22 145:14

099 225:7,12,16

228:12

1

1 3:3 22:3 30:6,19

31:4,13 40:21

78:19 223:18

225:4,5,14 228:12

236:11

1,000 236:4

1,013 29:13

1,300 287:19

1,546 28:20

1,625 28:22

1.1 84:18 237:1

1.2 236:3

1.3 79:3,17 83:8,10

85:1,12,17 88:3

89:3 102:8 107:18

108:3 109:14

110:4,16 111:15

128:4 137:10

146:7

1.5 78:13,21 83:6

83:12 108:8

109:13 110:4,7,13

110:17 111:14

114:3 127:21

128:5,19 137:9

138:22

10 33:19 198:12

10-4 244:5

10:30 163:13

10:35 1:11 4:2

100 201:2,10 208:6

280:18 328:1,8

329:14

102,000 171:9

11 145:6 184:11,16

195:15 225:14

236:14 263:20

11.5 225:4,10

11/11.5 236:15

11:00 11:15

11:30 11:16

12 184:11,16

220:15 234:4

237:12,16 271:16

12-inch 171:7,11

12,000 206:16

12,866 39:6

121,000 171:10

122,000 34:3

165:14 166:22

171:12 189:6

129 27:7

13 34:10

13,000 33:5

13,771 24:4

13,777 24:12

13,783 24:17

14 107:17 297:19

144,000 171:13

14th 79:7,19

15 116:2,20 136:13

136:13 137:7,21

145:10,15

15,000 205:19

206:17 208:1

249:19

150,000 44:9 68:20

153(b) 114:21

136:16

153.4505 145:16

158 3:7

17,000 96:16

18 166:5

18-percent 175:14

18,000 206:16

180 227:3,14

190 3:9,10 27:11

108:6

191 40:7 43:8 45:3

46:10 47:15

169:22 193:16

197:22 217:14

191.3 164:17

191.9 203:9

192 40:7,16 43:8

44:21 45:3 46:10

47:15 58:21,22

62:8 66:15 67:1

67:10 71:8 72:2

79:14,15 87:6

107:14 197:19

220:12 221:4

226:1 241:18,20

192-617 192:4

192.1001 201:1

192.1003 197:15

192.1009 204:17

192.1015 197:17

198:16 201:4

204:11
192.12 204:16
192.121 223:16
 227:5
192.121(a) 227:2
192.121(c)(2)(iv)
 236:13
192.153 107:16
 122:13
192.153(b) 78:14
192.153(e) 86:9
 110:11
192.153(e)(1)
 109:21
192.197 68:11
192.201 84:16 89:5
192.229(b) 325:21
192.281(c) 221:14
192.283 222:11
192.283(a) 224:11
192.283(a)(3) 224:3
192.285(b)(2)
 221:16
192.285(b)(2)(i)
 224:9
192.461(a) 265:9
192.465 264:14
192.479 268:4,12
 272:11
192.481 269:18
 276:2,8 277:5
192.481(a) 275:19
192.481(c) 272:10
192.491(c) 273:19
 277:6 321:2
192.491(C)to 299:3
192.503(a) 92:9
192.503(e) 327:6,18
192.505(b) 78:9
 79:9 80:1 128:2
192.505(d) 327:10
192.507 328:2
 330:19
192.507(d) 329:19
 330:4,16 331:22
192.509 328:9
192.511 328:13
192.613 200:10

240:12
192.617 200:11
 240:14 249:12
192.723 292:21
192.740 28:22
 29:12,18 40:3
 42:6 43:1,19 44:1
 44:5,17 47:4
 48:12 49:12 60:12
 65:7 66:20 67:20
192.740(c)(4) 50:11
 51:19 75:10
1970 134:20
1973 46:4
1984 165:5,15
 169:6 171:20
 176:11 179:3
 180:18,20
1992 83:5,6 84:7,14
 88:19 108:6
1998 78:18

2

2 3:5 22:4 109:22
 195:15 233:12
2.0-million-mile
 17:2
2:00 12:6
2:03 196:11
2:25 325:11
20 3:4 43:7 101:17
 189:6 308:21
20,000 236:3
200 25:6
2000 127:20
2001 79:1,5,21 85:4
 88:11 89:9
2004 79:7,19 85:10
 107:17 109:12
2010 33:22
2011 110:2 127:21
 128:6,18 136:7
 138:20 155:18
 156:3,12 205:2,11
2014 87:19
2015 41:16 46:2
 83:5,7 84:5,15
 85:4 88:8,12,17

108:1 110:10
 111:10 117:11
 128:8 136:8,17
 139:18,22 149:14
2017 25:10 83:1
2018 33:22 52:11
 201:20 220:6
2018a 222:22
2019 42:22 186:22
 223:7 334:11
2020 1:8 26:20 43:7
 309:16
21 64:11
212 3:10
22 32:14
220 103:19
225 166:11
23 101:13
24 221:6 223:3
 226:21
25 29:14 114:6
 173:5
25,000 176:22
250,000 166:21
254 3:12
255 167:18
258 3:12
26 34:10
2818a 226:3

3

3 3:7 22:5 62:3
 78:11 110:19
 164:22 172:10
 233:12
3,000 25:13
3:00 196:2,7,8
3:02 196:12
3:30 12:6
30 25:14 30:5 31:4
 32:20,21 113:3
 114:6 164:10
 327:13 328:1
 329:22
30-inch 171:9,12
30,000 33:17 34:15
 176:3
300 198:9

314 3:14
315 3:15
32 31:5
323 3:16
327 202:5
39 68:5 82:20
 271:22

4

4 3:2,8 22:12 37:17
 47:22 49:14 62:3
 110:19 195:20
 226:20
4.50 31:21
40 16:12 33:18 34:1
 175:13
40.13 31:8
42 29:5
43 34:21 88:5
46 214:8
47 30:22 91:15,15
48 93:3 105:17
480,000 32:10 33:1
49 93:21 152:12
 161:4 164:16
 334:16

5

5 3:11 22:16 33:13
 234:1
5,000 176:22
5,461 32:19
5:39 340:11
50 104:10 134:13
50,000 34:2 164:20
 167:1,9 169:6
 171:17 173:5
 176:14 177:10
 178:22 180:5
 210:11
505 136:16
505(b) 80:7 114:21
 116:5 136:16
51 118:14 124:13
 133:6
513 328:13
57 188:12,14 196:5

6

6 3:13 22:18 25:6
60 68:13 164:10
237:3
60104(b) 109:17
111:6 127:6
143:11 152:12
161:4
60115 334:16
61 30:8,9 32:3
63 274:21
64 29:21 216:3,4
64,000 252:3
67 214:7
68 30:18

7

7 1:8
70 53:9
73 237:22
74 3:6
740 44:2 68:16
69:22 71:20
75,000 29:10
76 33:8,21 34:13
77 237:20
79 29:3

8

8.8 328:19
80 40:16
800 236:5
81,000 28:18

9

90 32:13 215:2
900,000 248:16
92 287:2
94 237:12
940,000 33:4
95 206:20 237:16
96 237:21
97 280:20

C E R T I F I C A T E

This is to certify that the foregoing transcript

In the matter of: Meeting

Before: Gas Pipeline Advisory Committee

Date: 10-07-20

Place: Video Teleconference

was duly recorded and accurately transcribed under
my direction; further, that said transcript is a
true and accurate record of the proceedings.



Court Reporter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701