

U.S. DEPARTMENT OF TRANSPORTATION

+ + + + +

PIPELINE AND HAZARDOUS MATERIALS
SAFETY ADMINISTRATION

+ + + + +

GAS PIPELINE ADVISORY COMMITTEE MEETING

+ + + + +

THURSDAY
DECEMBER 14, 2017

+ + + + +

The Advisory Committee met in the Galleria Ballroom, Hilton Arlington, 950 North Stafford Street, Arlington, Virginia at 8:30 a.m., David W. Danner, Chair, presiding.

GAS PIPELINE ADVISORY COMMITTEE MEMBERS PRESENT
HON. DAVID W. DANNER, Chair; Washington Utilities
and Transportation Commission
STEPHEN E. ALLEN, Indiana Utility Regulatory
Commission
RONALD A. BRADLEY, PECO Energy
MARK BROWNSTEIN, Environmental Defense Fund
HON. DIANE BURMAN, New York State Public Service
Commission*
CHERYL F. CAMPBELL, Xcel Energy Incorporated
ANDREW J. DRAKE, Enbridge Gas Transmission
SARA ROLLET GOSMAN, Pipeline Safety Trust;
University of Arkansas School of Law
ROBERT W. HILL, Brookings County Zoning and
Drainage, South Dakota
RICHARD F. PEVARSKI, Virginia Utility Protection
Services LLC/Virginia 811
TERRY TURPIN, Federal Energy Regulatory
Commission
RICHARD H. WORSINGER, Public Utilities, City of
Rocky Mount, North Carolina

CHAD J. ZAMARIN, Williams Companies

PHMSA STAFF PRESENT

ALAN MAYBERRY, Associate Administrator for
Pipeline Safety; Designated Federal Official

ELOISE CASTILLO, Economist

AMAL DERIA, Attorney Advisor

JOHN GALE, Director, Office of Standards and
Rulemaking

ROBERT JAGGER, Office of Standards and Rulemaking

KENNETH LEE, Director, Engineering and Research

JANICE MORGAN

CHRIS McLAREN, Transportation Specialist

JANICE MORGAN

SAYLER PALABRICA, Office of Standards and
Rulemaking

DRUE PEARCE, Deputy Administrator

CAMERON SATTERTHWAITE, Office of Standards and
Rulemaking

CHERYL WHETSEL, Advisory Committee Manager

ALSO PRESENT

ALBERTO ACUNA, Consumers Energy

SIMON BELLEMARE, PhD, Massachusetts Materials
Technologies

DAVID CHITTICK, TransCanada

MELISSA GOULD, DNV GL

MICHAEL KERN, National Grid

RICHARD B. KUPREWICZ, Accufacts, Incorporated

ERIN KURILLA, American Public Gas Association

RICHARD LONN, Southern Company Gas

LANE MILLER, TRC; NORMAC

BRIAN MOIDEL, Dominion Energy Ohio

C.J. OSMAN, INGAA

LEE REYNOLDS, NiSource

LINDSAY SANDER, Sander Resources

LAUREN TOCZYLOWSKI, Consolidated Edison Company
of New York (Con Edison)

* Present via teleconference

CONTENTS

Administrative Concerns. 4

Committee Member Self-Introductions. 8

PHMSA Staff Member Self-Introductions.10

Opening Remarks11

Overview of Voting Process15

Introduction Rule 607.17

BRIEFING NPRM:

Safety of Gas Transmission and Gathering

Pipelines.29

Lunch. 134

BRIEFING NPRM:

Safety of Gas Transmission and Gathering

Pipelines. 135

Adjourn.281

1 P-R-O-C-E-E-D-I-N-G-S

2 (8:33 a.m.)

3 MR. MAYBERRY: If everyone will take
4 their seats, we'll get started. I'm going to do
5 the soup trick. That's pretty good. All right,
6 we'll go ahead and get started. Good morning.

7 Good morning, everyone. Well, thank
8 you for your attendance at this meeting of the
9 Gas Pipeline Advisory Committee. As many of you,
10 I think, were here yesterday, we had a joint
11 meeting that I thought was excellent.

12 So today the focus is gas. Under the
13 Federal Advisory Committee Act, I serve as the
14 designated federal official and, as such, I'm
15 presiding official of this meeting. My name is
16 Alan Mayberry. I'm the Associate Administrator
17 for Pipeline Safety.

18 Today's chairman for the committee
19 will be the Honorable David Danner, Chair of the
20 Washington Utilities and Transportation
21 Commission. Before I turn it over to Chairman
22 Danner, let me cover a couple of housekeeping

1 issues.

2 First off, most importantly, the
3 restrooms are located to my left out the door.
4 And straight across from the ladies' room, over
5 to the left, the men's room.

6 Emergency exits, you can exit from the
7 direction you came in, down the stairs to my
8 left. You can also go to my right. When you go
9 through these doors, take a right, and there's a
10 stairwell at the end of the hallway there.

11 If you will please silence your mobile
12 devices, just to eliminate disruptions, trains of
13 thought and the like.

14 Also, you know, related to
15 participation and decorum, in order to complete
16 the business of the advisory committees, we ask
17 that all parties hold their comments until we
18 open the floor.

19 Please keep your remarks brief, less
20 than five minutes. The presiding official may
21 ask you to cut your comments short, if necessary,
22 to keep the agenda moving.

1 Written comments may be submitted to
2 the docket that's set up for this meeting or for
3 this rule at PHMSA-2016-0136.

4 Now, I probably don't need to go over
5 this with this group. I'm going to anyway, just
6 to make sure. This is a Federal Advisory
7 Committee meeting. Committee members and members
8 of the public are asked to preserve order and
9 decorum during this meeting.

10 No one shall, neither by a
11 conversation or otherwise, delay or interrupt the
12 proceedings or peace of the committee nor disturb
13 any member while speaking or refuse to obey the
14 instructions of the chair or the designated
15 federal official or its presiding officer. If
16 someone chooses to be disruptive, we will ask you
17 to leave.

18 I guess related to participation, too,
19 just to make you aware, we will do a similar
20 order to the last time we met where, as we do
21 briefings on the topics, we will first turn it
22 over to public comment and questions before we

1 turn it over to the committee. And that'll allow
2 the committee time to -- or the ability to
3 consider the comments and the questions received.

4 So with that, I will hand off to our
5 chairman today. Chairman Danner? Thanks.

6 CHAIR DANNER: All right, thank you
7 very much. So I would like to call this meeting
8 of the Gas Pipeline Advisory Committee to order.
9 As Alan said, this is Docket Number PHMSA-2016-
10 0136.

11 This meeting is being recorded, and a
12 transcript will be produced for the record. The
13 transcript and the presentations will be
14 available on the PHMSA website. It's Meeting
15 Number 127, and it's on the eGov docket at
16 www.regulations.gov.

17 So I would like to ask that, when we
18 have our conversations with the committee, the
19 committee members introduce themselves each time
20 they begin speaking so the comments can be
21 acknowledged in the transcript. Set your tent
22 card on its end, and I will find you and I will

1 call on you that way.

2 So why don't we begin with a roll
3 call? I think I'll start down there on my left
4 and work around the table. Thank you.

5 MR. HILL: Good morning. My name is
6 Robert Hill. I'm from Brookings County, South
7 Dakota. I'm an emergency management director in
8 county development.

9 MR. PERVARSKI: Rick Pevarski,
10 Virginia 811 representing the public.

11 MR. ALLEN: Steve Allen, Director of
12 Pipeline Safety for the Indiana Utility
13 Regulatory Commission, representing the
14 Government.

15 MR. BROWNSTEIN: Mark Brownstein, Vice
16 President of Climate and Energy for the
17 Environmental Defense Fund, representing the
18 public.

19 MS. GOSMAN: Sara Gosman, assistant
20 professor at the University of Arkansas School of
21 Law and Vice President of the Board of Directors
22 of the Pipeline Safety Trust, representing the

1 public.

2 CHAIR DANNER: Okay. Yes, Chad,
3 you're --

4 MR. ZAMARIN: Chad Zamarin, Senior
5 Vice President with The Williams Companies,
6 representing the industry.

7 MR. DRAKE: Andy Drake, Vice President
8 of Asset Integrity and Technical Services for
9 Enbridge Gas, representing industry.

10 MR. BRADLEY: Ron Bradley, Vice
11 President of Gas Operations at PECO, representing
12 the industry.

13 MS. CAMPBELL: Cheryl Campbell, Senior
14 Vice President Gas, Xcel Energy, representing the
15 industry.

16 MR. WORSINGER: Rich Worsinger,
17 Director of Energy Resources for Rocky Mount
18 Public Utilities, City of Rocky Mount,
19 representing industry.

20 MR. TURPIN: Terry Turpin, Federal
21 Energy Regulatory Commission, representing
22 Government.

1 CHAIR DANNER: All right, thank you.
2 We want to introduce the PHMSA staff as well.

3 MR. SATTERTHWAITE: Cameron
4 Satterthwaite, Standards and Rulemaking.

5 MR. PALABRICA: Saylor Palabrica,
6 Standards and Rulemaking.

7 MR. JAGGER: Robert Jagger, Standards
8 and Rulemaking.

9 MR. GALE: John Gale, Director
10 Standards and Rulemaking.

11 MR. NANNEY: Steve Nanney,
12 Engineering.

13 MR. McLAREN: Chris McLaren, State
14 Programs

15 CHAIR DANNER: All right, and, to my
16 left, Alan Mayberry. And I'm going to turn it
17 back over to Alan for his opening remarks, and
18 then we will get moving on the briefing. So,
19 Alan?

20 MR. MAYBERRY: Just to put you at
21 ease, it won't be two hours. I think we had that
22 on the agenda at one point, but -- I'm sorry?

1 CHAIR DANNER: I think that we forgot
2 to introduce Cheryl.

3 MR. MAYBERRY: I'm sorry, yes.

4 MS. WHETSEL: I'm sorry. Cheryl
5 Whetsel. I'm the Advisory Committee Manager.

6 MS. DERIA: Amal Deria, Office of
7 Chief Counsel.

8 MR. MAYBERRY: All right, thank you
9 very. Appreciate that.
10 much.

11 CHAIR DANNER: Okay, Alan?

12 MR. MAYBERRY: Okay, thanks. you
13 know, today's agenda is the gas, safety of gas
14 transmission and gathering pipelines. As you
15 know, this is our third meeting related to this
16 rule.

17 Today's topic, specifically, will be
18 Sections 607 and 624. And my expectation,
19 really, I think, if we get a vote on 607, I'll
20 declare a success for this day and a half.

21 But 624, relayed integrity
22 verification process and our discussion there,

1 really, is meant to just have a discussion and
2 set up, perhaps, for the ability to vote at the
3 next meeting.

4 I might add, too, that, just to
5 reinforce the point, over the last few months --
6 or a year, really -- it's become apparent that
7 there's probably a not as good of an
8 understanding as we need to have out there as far
9 as applicability of these two sections.

10 But these do -- while the rule is
11 called Gas Transmission and Gathering, these two
12 sections, really, are focused on gas transmission
13 only and are not covered under the gathering or
14 do not cover gathering -- or distribution, for
15 that matter. So I just wanted to reinforce that
16 point, and we'll probably reinforce that as we go
17 along.

18 Also, just as, you know, I've talked
19 to many of you about this related to the input
20 we're seeking from the committee. And we do
21 value the input of the committee, as we use it as
22 we develop, you know, the final rule. But we are

1 looking for you advice.

2 And to that end, we really need to --
3 as a committee, we look for you to come to an
4 agreement on the terms of the -- you know, or
5 come to terms on an agreement for the go forward
6 approach as opposed to details.

7 In other words, we're really not
8 looking for edits of rule text, but we're looking
9 for things that the committee can agree on --
10 terms, tenants, if you will, on the direction
11 that you advise the Agency to take the rule.

12 We've been advised on the by our legal
13 staff and by our Office of the Secretary that we
14 really can't do word-smithing or rule-writing in
15 this committee. While I know words matter and
16 can truly appreciate that, we really need to
17 focus the advice of the committee on, you know,
18 really, terms or tenants that are given to us.
19 And we take the rule -- you know, we'll take it
20 from there.

21 We do, by the way, have openings for
22 rule-writers, if you do want to help with writing

1 the rule. Okay?

2 And I might add, there is a process
3 for reviewing regulations. It's very thorough
4 within PHMSA, within DOT and even over at O&B if
5 the rule is deemed significant. And this one,
6 most certainly, is likely -- or has been deemed
7 significant.

8 And even after that, there is a
9 process in place for addressing any concerns with
10 rules that are published through various
11 mechanisms available to stakeholders for that.
12 And so, with that, that was the extent of what I
13 had to start off with out front.

14 I wanted to turn it back over to the
15 Chair to run through the agenda. I think that
16 will lead up to the first topic. Or do you want
17 me to --

18 CHAIR DANNER: Well, why don't you --

19 MR. MAYBERRY: I can just turn it
20 over. I'll just -- I'll turn it over to the
21 staff. We're going to start the briefing in the
22 order I mentioned. Section 607 will be the first

1 discussion.

2 But we have a little lead-in to that,
3 and I will turn the microphone over to John Gale
4 who will start the introduction. Then we'll turn
5 it from him. John will go to Steve Nanney and
6 Chris McLaren who will do a tag team on going
7 through the rule. John?

8 MR. GALE: Well, good morning. My
9 name's John Gale, Director of Standards and
10 Rulemaking Office of Pipeline Safety.

11 Before we get into the rule, I would
12 actually like to turn it over to Cheryl Whetsel,
13 who's just going to go through a real quick
14 overview of the voting process. As Alan said,
15 we're optimistic that we'll actually get to a
16 vote on one of the topics today, so we thought it
17 would be very good to go through that voting
18 protocol real quickly. Cheryl?

19 MS. WHETSEL: Good morning. Yes, I am
20 in shock that you're making me do this first. So
21 they've given an example up here of the committee
22 action. So what we're considering the, as you

1 know, the safety of gas transmission and
2 gathering pipelines as published in the Federal
3 Register.

4 And you are considering it for the
5 technical feasibility, reasonableness, cost
6 effectiveness and practicality. And somehow,
7 during all of our coming up with committee
8 organization, we have managed to tell you that
9 you have to -- we need to say that in every
10 single vote. So it's a little wordy.

11 So the chairman will, when a decision
12 or a recommendation of the committee is required,
13 the committee chairman will request a motion for
14 the vote. And any member, including the
15 committee chairman, will -- can make a motion.

16 And a quorum is required for a vote.
17 A majority of the current members of the
18 committee are here, so we do have a quorum.

19 Okay, so, as we said, you know, with
20 the first slide, the members do consider each
21 proposed rule and the regulatory draft
22 evaluation. The motion should include the

1 terminology from the statute, which is the
2 feasibility and all of that stuff. It's been a
3 long day already.

4 And all motions must originate from
5 and be seconded by members of the committee. So
6 there are three options for calling a motion.
7 You can agree, as proposed. You can be not in
8 agreement. Or you can propose a change.

9 And here's the sample language. If
10 you agree, you know, that you agree that it's
11 technically reasonable, feasible and cost-
12 effective and practical. The second option is
13 not to agree. And then the third option is if
14 you wish to propose a change.

15 So, and it is -- we do appreciate that
16 the members can please scribe their changes and
17 then read them out loud. Thank you.

18 MR. GALE: Thank you, Cheryl. If we
19 can get the rules, GPAC slides up. Thank you.
20 Thank you, Sayler.

21 So we're very pleased to bring to the
22 committee, again, the safety of gas transmission

1 and gas gathering pipelines NRPM. We've had
2 several meetings already. We've made a lot of
3 progress.

4 I think the committee has done a great
5 job of getting the momentum going so we can
6 actually see the light at the end of the tunnel
7 here. And we actually are starting to see that.

8 As Alan said, we're very optimistic to
9 get another vote. We've kind of, you know,
10 organically created a process where we get
11 feedback in in different topics and then kind of
12 then present a recommendation for the advisory
13 committee to consider at the next meeting.

14 That being said, we also need to keep,
15 you know, the rule moving at some kind of pace.
16 So just a quick overview of where we've been --
17 clicker's not working. Okay, let's go on to the
18 second.

19 So at the first meeting back in
20 January of 2017, we brought to the committee the
21 following topics, and then we actually got a
22 positive vote. We got a positive vote on the

1 statutory mandate provision on the 6-month grace
2 period reassessments.

3 We got a vote passed on safety
4 features for ILI launcher and receivers; another
5 statutory mandate provision on seismicity; a
6 provision that was also -- you could find in the
7 hazardous liquid rule regarding inspecting
8 pipelines following extreme weather events. We
9 got agreement on, also, management of change.

10 We also had three other topics
11 discussed where we deferred action and came back
12 at a later time, which was on corrosion control
13 records and IM clarifications.

14 We then, in June of 2017, were able to
15 discuss and got a positive vote on the following
16 areas. The corrosion provisions that were
17 proposed in the NPRM, most but not all of the
18 record provisions -- but, maybe not most, but
19 some of the record provisions that were in the
20 NPRM dealing with 192.5, 222.7 and 285.

21 Most of the provisions related to IM
22 clarification were passed. And the reporting

1 requirements for MAOP exceedance was also passed.

2 There was a couple provisions still
3 remaining that were discussed but not -- but a
4 vote was postponed. Additional votes are still
5 needed on records. Additional votes are still
6 needed on some of the IM clarification
7 provisions.

8 And we introduced the topic and began
9 a discussion on the issue of material
10 documentation or material verification.

11 So at this meeting, we're going to
12 continue that discussion in those -- and two,
13 really three, areas -- material documentation or
14 verification in 192.67; the integrity
15 verification process which deals with 192.624 --
16 and basically that section there identifies your
17 methods that we've propose that operators can use
18 to re-verify their MAOP given certain
19 applicability requirements.

20 And then Steve will go over those main
21 applicability requirements or in-service type
22 incidents, lack of pressure test records or

1 grandfather provisions within certain areas of
2 concern.

3 We also, if time permits, we'll get to
4 strengthening assessment requirements. We could
5 be optimistic, and hopefully get through those
6 other two very difficult areas in a day and a
7 half. And, we have time permitting, we'll start
8 opening up discussion of these different areas.
9 And we would probably have separate votes on
10 those different areas if we get to them.

11 But if the other areas -- material
12 documentation and IVP, require the time of the
13 whole committee for this full day and a half,
14 we're going to take that time and then move
15 forward accordingly on those, the other areas at
16 a later meeting.

17 But as you'll see, what we're trying
18 to propose here, and what Steve will go over, is
19 kind of setting the stage on material
20 verification where, in lieu of it being kind of a
21 larger discussion of material verification in a
22 general context, it allows for that context to

1 occur in areas that are of concern, such as MAOP
2 verification, integrity management, anomaly
3 repair and records.

4 And we think that's a much better
5 process than what we were trying to -- going
6 through originally. So what we're looking at
7 here now is basically a process that 192.67 could
8 be to establish those records for those given
9 areas and not necessarily its applicability.

10 So if we get through those three areas
11 we still have some other areas to go through. We
12 still have the areas that were tabled from
13 Meeting 2 dealing with records and IM
14 clarifications and some other topics that we
15 haven't even gotten to yet.

16 We still have to discuss assessments
17 outside of HCAs and associated repair criteria
18 both for HCAs and non-HCA areas. And, of course,
19 we also have gathering lines, the gathering line
20 proposals that are contained in this rule dealing
21 with reporting requirements, change in the
22 definition and also regulating additional lines.

1 So we have proposed and thrown out
2 some additional meeting dates in both March and
3 June. We're actually contemplating maybe even an
4 additional meeting within that time frame that
5 could be maybe a telephonic vote on some of the
6 areas that we think are less controversial, such
7 as we think we could deal with strengthening IM
8 assessments through the telephone or possibly
9 even requirements that are related to assessing
10 that outside of HCAs through a telephonic
11 meeting.

12 Because we do -- we all know we need
13 to get this to the finish line and we need to do
14 it, you know, within a reasonable time frame. So
15 as we get through this process and we get closer
16 to the end of this meeting, we'll probably be
17 looking for feedback on how we can get this rule
18 across the finish line.

19 So, with that, I am going to turn it
20 over to Mr. Nanney, who's feeling a little under
21 the weather, and start our presentation.

22 MR. MAYBERRY: Hey, John, if I could

1 just add, Mr. Chairman would indulge me, what
2 John had referred to as far as additional
3 meetings, there is an interest in trying to, you
4 know, speed these things -- speed things up
5 appropriately to show progress.

6 There's some low-hanging fruit, I
7 think, on those last topics that are less
8 controversial that are good things, I think, that
9 would lend themselves well to a phone call. So I
10 think, to that end, we'd like to consider -- the
11 committee to consider an intermediate meeting
12 that would help for that.

13 There is interest, I know, from the
14 stakeholders I talked with, and, you know, really
15 finishing this, finishing the work we've begun,
16 we have mandates on the table. And I know, you
17 know, in speaking with the administration, too,
18 there's an interest in really moving things
19 forward, you know, at the appropriate level,
20 considering our regulatory agenda and regulatory
21 reform.

22 So I just wanted to throw that out

1 there, that there is interest in moving this, you
2 know, with some sort of deliberate speed in the
3 coming year so we can show some results.

4 Because, actually, now, as many of you know,
5 reauthorization is around the corner.

6 And we do need to show progress on,
7 especially addressing Section 23, Section 7 and
8 the last of the 2011 Act, no less, that relate to
9 confirming materials strength, the pipelines and
10 then relating to class location.

11 So, anyway, I wanted to mention that.
12 I think there's a question over here.

13 CHAIR DANNER: Okay, yes, Mr. Drake?

14 MR. DRAKE: Andy Drake with Enbridge.
15 In that interest, kind of as maybe a strategic
16 note, could we possibly earmark 15 or 20 minutes
17 in this agenda to talk explicitly about
18 gathering, about where we're trying to go?

19 Because I think if we don't start
20 strategically thinking about how this fits in and
21 we wait till June, we're going to have a kind of
22 a thorny conversation in June that may not end up

1 where any of us want it to be.

2 If we could talk a little bit about,
3 now, about how we see that fitting in and how
4 strategically we want to prepare ourselves to
5 have a constructive discussion in June, I think
6 that might serve everybody around this table a
7 little bit better.

8 I just -- I'm not advocating anything
9 specific at this moment. I'd just kind of like
10 to have, at least preserve in the agenda a chance
11 to have that conversation now. Because if we
12 don't do it now, it takes another three or four
13 months before we regroup and get a chance to deal
14 with some of those strategic issues.

15 CHAIR DANNER: Well, okay, so I think
16 I would have to leave that to PHMSA to figure out
17 if there's time in the schedule for that
18 discussion or whether you really think that 15 or
19 20 minutes would be sufficient to have that
20 ground --

21 MR. DRAKE: That might be a little
22 optimistic.

1 CHAIR DANNER: Okay, okay, so can you
2 find a couple hours in the agenda?

3 MR. MAYBERRY: We're two hours for
4 that, yes, I think --

5 CHAIR DANNER: Yes.

6 MR. MAYBERRY: Yes, I mean, the will
7 of the committee is important to us, so I know
8 we've -- we're prepared to talk the subjects at
9 hand today. But, if there's time, I mean, if
10 that's the will of the committee.

11 CHAIR DANNER: So what you're saying,
12 though, is you just basically want to set the
13 stage for the next conversation. So why don't we
14 -- why don't the PHMSA folks talk offline and see
15 what we can do about fitting that into the
16 agenda?

17 I'm not optimistic that 20 minutes is
18 really going to allow us to set the stage
19 appropriately, but let's see how it goes. Are
20 there any other thoughts on that from the
21 committee members? Okay.

22 MR. DRAKE: The only other thought I

1 had on that was they're, you know, pretty much
2 advertised as the topics at hand here today. And
3 some stakeholders may have chosen not to be here
4 that may have been interested in even that
5 discussion there.

6 CHAIR DANNER: So my other concern is,
7 is we do have some of the smaller items that, if
8 we have time remaining, we could address some of
9 those and get them, sort of clear the underbrush
10 for the bigger ticket item which is coming later.

11 So why don't we hold that discussion
12 for a later time and -- oh, Mark, I didn't see
13 you.

14 MR. BROWNSTEIN: Yes, Mark Brownstein,
15 Environmental Defense Fund. I think it would be
16 a good idea to have that conversation, although
17 I'm sensitive to the idea that you don't want to
18 derail the agenda that we have, so that we have
19 important topics. But maybe there's an
20 opportunity to squeeze it in either at the
21 beginning of tomorrow's meeting or something like
22 that?

1 CHAIR DANNER: Okay, well, hopefully,
2 this discussion didn't cost the vote on 607. All
3 right. All right, move ahead, and back to John
4 or --

5 MR. GALE: Thank you.

6 CHAIR DANNER: All right.

7 MR. GALE: Yes, go ahead, Steve.

8 MR. NANNEY: Well, I guess we're ready
9 to vote on 607. Is that what I heard?

10 (Laughter)

11 CHAIR DANNER: I will entertain a
12 motion.

13 MR. NANNEY: Just one note. As, I
14 think as everyone knows here in the room, the
15 early September meeting was canceled. And I was
16 one of the ones that was recommending to Alan
17 that we cancel the meeting.

18 I live just south of the Galleria in
19 Houston. And I think the water got within about
20 four inches of getting into my house. And many
21 of my neighbors had their homes flooded. If you
22 ever go through Houston, south of the Galleria is

1 where 610 loop turns.

2 And if you were watching The Weather
3 Channel or any of those, most of the, of the
4 shots they were taking, was from the bridges and
5 everything along what they call Bray's Bayou
6 there in Houston. It's where many of them
7 because Channel -- some of the networks are down
8 that way, and so it's easy for them to get there
9 to take a lot of the shots.

10 But many of my neighbors were flooded.
11 And it was like a -- I don't know what to say.
12 They're whole house was out in the front yard.
13 But we were very blessed -- lucky, whatever word
14 you want to use -- that our home didn't flood.
15 And I hope any of my friends here from Houston, I
16 hope their homes didn't flood either and
17 everything.

18 But it was a traumatic event going on
19 there with 30 to 50 inches of rain. So from my
20 point of view, I thought canceling the meeting
21 was the right thing to do.

22 So, with that, going to -- we are

1 going over material documentation. We won't
2 cover a few of the points we have talked about
3 before because we're setting the stage,
4 hopefully, to get a vote on the principles of how
5 we'll going forward.

6 And one thing, to just go back, is the
7 issue of the missing records started with the
8 PG&E accident at San Bruno. And then PHMSA got
9 from NTSB three recommendations that were to
10 PG&E.

11 And what were those recommendations?
12 Conduct immediate search for missing records, use
13 verifiable records to determine a valid MAOP.
14 And if a valid MAOP cannot be substantiated,
15 conduct pressure tests to re-establish a valid
16 MAOP.

17 And just to give you a context of the
18 mileage that we're talking about that's addressed
19 in the Act, Section 23, about 20 percent of the
20 mileage is PG&E mileage. I don't know if you
21 realized that or not, but about 20 percent of it.

22 And also, the results of the PG&E

1 review were billed that PG&E could not
2 substantiate their MAOP for a significant amount
3 of PG&E's transmission's system.

4 Going to the next slide, again, in
5 response to the PG&E problems, Congress mandated
6 Section 23 of the 2011 Act. And what that act
7 said was that pipeline operators must conduct a
8 records review for segments in HCAs in Class 3
9 and 4 locations and report those results to
10 PHMSA, which, it has been done several years ago.

11 And the purpose of the verification
12 was to ensure that the records accurately reflect
13 the physical and operational characteristics of
14 the pipeline and also to confirm the established
15 MAOP of these pipelines.

16 And one of the things that, in looking
17 at 607, as far as material documentation, that
18 PHMSA took a look at and what we were proposing
19 and what we would propose after listening to the
20 committee is, what I think we all realize, it's
21 used to establish your MAOP.

22 It's also used for integrity

1 management. And within integrity management,
2 it's used for anomaly of evaluations for a safe
3 operating pressure. And that can be within an
4 HCA or in a non-HCA, if that's used.

5 And in the pictures we've got up here,
6 is just some examples of mill test reports and
7 other type reports as far as documenting yield
8 strength, tensile strength, elongation and the
9 chemical properties that operators normally get
10 on pipe materials.

11 Slide 11, what are the implications to
12 industry? And this is based upon annual report
13 data that we got as of 2016, is that operators
14 have reported approximately 4,500 miles of pipe
15 in HCAs in Class 3 and 4 locations that had
16 inadequate records.

17 And, as you can see there, it's about
18 2,100 miles with incomplete records in HCAs;
19 about 2,400 miles are Class 3 non-HCAs, about
20 1,900 miles in Class 4 for about 4,500 miles.

21 Also, just to give another look, and
22 when you look at grandfathered pipe with

1 incomplete records, that's 192.519(c) is the
2 grandfather clause that's alluded to in the NTSB
3 type recommendations.

4 And there you can see the Class 1 HCA
5 pipe was 19 miles out of a total of grandfathered
6 pipe of 87. We did not get data on non-HCA pipe.
7 Class 2 HCA pipe was 15 miles. Class 3 HCA pipe
8 was 475. Class 3 non-HCA pipe was 607; Class 4
9 HCA, 5; Class 4 non-HCA 18 for a total of a
10 little over 1,100 miles of grandfathered pipe
11 with incomplete records.

12 And, as you can see, most of it is in
13 Class 3 locations. A little of it's in Class 1
14 and 2. But, again, most of it's in Class 3 with
15 a little bit in Class 4.

16 Also, we went back to just, you know,
17 some of the comments and some of the things we
18 had discussed would be the cost and the impact as
19 far as if an operator needed to get the material
20 documentation. And I know there was some
21 conversation we had had about what that cost
22 would be.

1 And, again, we had talked about it
2 being an opportunistic approach. And to give you
3 an idea of the number of operators that are
4 impacted, and there's about a 1,030 or 1,034
5 operators with operator IDs -- to give you an
6 idea, when you add up the numbers.

7 And basically, there's nine operators
8 that hire between a hundred and a thousand miles
9 of pipe with missing records, 55 between ten and
10 a hundred. And then the rest of them either have
11 zero miles or between zero and ten miles. So
12 it's not a big landscape of operators with
13 missing records.

14 Also, again, looking at the Act,
15 Section 23 of the 2011 Act, what did it say?
16 Well, it said to require the operator to
17 reconfirm the MAOP as economically as feasible
18 and determine what actions are appropriate for
19 the pipeline owner or operator to take to
20 maintain safety until a MAOP is confirmed.

21 Also, again, if you -- here is
22 actually an excerpt from the Act. As you can

1 see, the mandate on the testing regulations was
2 that pressure testing or an alternative
3 equivalent means, such as an ILI program, for gas
4 transmission -- it's like Alan was saying
5 earlier, we're focusing on gas transmission pipe,
6 Class 3, 4 and all HCAs not previously tested.

7 And, realize, we've got the Act.

8 Also, we're still concentrating on the NTSB
9 recommendations. Those NTSB recommendations have
10 not been pulled by NTSB. And those are delete
11 the grandfather clause.

12 And what NTSB recommended from San
13 Bruno or from the PG&E incident was that all
14 grandfathered pipe be pressure tested including a
15 spike test for HCA and non-HCA areas and also for
16 seam stability, they recommended a pressure test
17 of 1.25 times MAOP to treat the manufacturing and
18 construction defects as stable. And that's for
19 pipe in both HCAs and non-HCAs.

20 Considering what PHMSA has received
21 from Congress and what PHMSA has received from
22 NTSB, we deem that no action alternative is not

1 feasible based upon what we have in front of us
2 and also what happened with PG&E and the citizens
3 at San Bruno.

4 Congress has mandated an action that
5 is now law. And actions require that the
6 existing regulations be used to establish
7 material properties for unknown pipes. That, as
8 we know, would be prohibitively expensive.

9 There is a default. If you go look at
10 Section 192.107, that if you do not know your
11 pipe properties, you can take a lower strength of
12 24,000 psi. And PHMSA realizes that if operators
13 started doing that it's a -- we cripple being
14 able to deliver gas to the public.

15 And in this proposed regulation, that
16 is not PHMSA's goal. The goal is safety.

17 Also, you know, we considered cutting
18 out the cut-out pipe samples for testing. Again,
19 we thought that would be very expensive if you
20 tried to follow anything that's in the present
21 code.

22 Also, simply pressure testing the pipe

1 does not address missing records needed for
2 reasons other than establishing MAOP, such as
3 integrity evaluations. And that's the areas that
4 we're trying to focus on, where you have lost
5 wall thickness or where you have cracking or
6 where you have other anomalies that can restrict
7 that safe pressure.

8 And, again, all pipe segments, whether
9 it's an HCA or a non-HCA, are currently subject
10 to repair requirements of some sort which would
11 require material properties to be known.

12 Also, in 607, the proposed rule to
13 establish material properties, PHMSA proposed
14 that there be no mandatory excavation solely for
15 verification of pipe material properties to be
16 required.

17 And the reason we did that is, if a
18 pipeline was operating safely; if the operator,
19 whether they're running ILI or they're doing
20 excavations, whatever approach they're using --
21 whether it's direct assessment -- whatever, based
22 upon the code -- is we were not trying to tell

1 them to go dig on the pipe for the sake of going
2 to go dig on the pipe to get material -- it's
3 where there was a safety concern.

4 And, again, looking at the second
5 bullet here, is we said verify material
6 properties as those opportunities present
7 themselves during the course of normal operations
8 and maintenance.

9 Also, we were allowing for non-
10 destructive testing to verify the material
11 properties where feasible.

12 Also, the operator could elect to go
13 back to the code, back to 5L and do destructive
14 testing per the existing code, per existing 5L
15 type requirements.

16 And then components such as valves,
17 flanges and fabrications, they could be verified
18 by code stamp and other markings.

19 Again, what PHMSA proposed as a
20 process is based upon an opportunistic sampling
21 approach. What we expect is that, over time,
22 operators would gain the data and records for

1 these material properties. And we would also
2 expect them to use the results for unknown
3 segments.

4 We were not expecting every time you
5 go dig that you would have to take a sample. And
6 then after you get a specified number of segment
7 properties verified, the program could be
8 discontinued.

9 Also, one other thing that we looked
10 at is, again, we were trying to address cost
11 wise, impact wise, of doing this. So we went
12 back and we looked at, since integrity management
13 for gas, integrity management came into play in
14 2004 through 2016.

15 We looked at the number of HCA repairs
16 over this 13-year totals. And, as you can see
17 here, on the table, there's been over 10,000 HCA
18 repairs, which is about an average of a little
19 over 800 per year.

20 And then we went back and we started
21 looking at what operators it would impact, just
22 to get an idea if those operators did not have

1 material records. And the top two operators are
2 doing an average of 55 repairs per year since IMP
3 was put into place.

4 Of the top 15, whether you look at it
5 based upon HCA mileage or HCA repairs, is an
6 average between about 18 and 27 per year. And,
7 again, if you look at the amount of mileage we're
8 talking about, again, it'd be a small percentage
9 or a smaller percentage of these numbers that
10 would require material documentation.

11 And then, as you can see, the next
12 group of operators was 178 that had only done two
13 and only repairs per year. And then the vast
14 majority of gas transmission operators with
15 operator IDs over 800 had done no HCA repairs
16 since integrity management came into play.

17 So that's why PHMSA, at the last
18 meeting, said that we do not expect this -- the
19 way we were proposing this opportunistic approach
20 -- to be a big stretch to do.

21 Also, as far as the minimum required
22 parameters that we were looking at, has PHMSA

1 considered the minimum material properties that
2 must be known to establish MAOP and to operate
3 and maintain the pipeline to ensure that the
4 operating departure stays within the MAOP limits.

5 Also, if you look at 607, it does not
6 apply -- it would apply when the rule
7 requirements to establish unknown material
8 properties.

9 Going to the next segment, the minimum
10 material properties that are presently in the
11 code, and if you look at 192.105 for design
12 pressure, it would like diameter, wall thickness,
13 yield strength, tensile strength, MAOP
14 determination in 619(a) in the safe operating
15 pressure for pipe with defects.

16 A combination of these code sections
17 either require all or a portion of these items to
18 be able to come up with either the MAOP, the
19 design pressure or the safe operating pressure.

20 As far as the ultimate tensile
21 strength, one thing we had a discussion the last
22 meeting on was tensile strength and why PHMSA was

1 asking for that. Well, if you go back, and if
2 you look in the anomaly repair equations, one
3 thing they're based upon is not exceeding the
4 tensile strength of the pipe.

5 If you look at B31G or if you go look
6 at RSTRENG, those type things, is basically they
7 take a yield strength and you add a number onto
8 it. Normally it's 10,000 pounds.

9 And the key is, when you add that
10 amount onto the yield, you want to make sure you
11 don't go over the tensile because one reason that
12 you can use RSTRENG and B31G is because you're
13 not using the yield strength. You're using a
14 number above the yield strength. And it's trying
15 to get at what the actual strength of the pipe
16 is.

17 Just to give the committee an idea,
18 again, is if you went and you looked at 5L,
19 realizing this is from a late -- it may even be
20 the current addition of a 5L -- just shows a
21 Table 6 type requirements.

22 And this has been the type

1 requirements for decades in the 5L type series of
2 what you need -- yield strength, tensile
3 strength, elongation are some of the things that
4 are needed.

5 Some of the other things that we
6 talked about at the last meeting -- and, again,
7 we're just going back through, to be clear, is
8 like Charpy v-notch toughness. PHMSA was never
9 requiring that as being something that was needed
10 every time.

11 The point that we were making is that
12 if it is required for failure, pressure and crack
13 growth analysis, we would expect the operator to
14 get that information. We have gone back, we've
15 looked to make sure we've reinforce that an
16 operator can use other conservative methods of
17 getting a v-notch toughness on the pipe.

18 As far as chemical properties, again,
19 in welding, for Subpart E, the reason we had
20 chemical properties was so that carbon
21 equivalence is something you need for welding and
22 also to know your pipe properties. That's the

1 reason we had recommended and had in the proposed
2 regulation that there be a sample taken to come
3 up with the chemistry of the pipe.

4 As far as seam type, seam type was a
5 big issue at PG&G for San Bruno. They had
6 classified the 30-inch pipe as being seamless.
7 30-inch seamless pipe has never been made in this
8 industry and been installed that I'm aware of, so
9 that was an issue at San Bruno. So, anyway, the
10 seam type is needed in your design type of
11 calculations, your MAOP type calculations to come
12 up with MAOP.

13 Coating type is a current code
14 requirement in 917 and also in some of the
15 corrosion sections of the code, and then the
16 tests for the presence of stress corrosion
17 cracking, seam cracking or selective seam weld
18 corrosion.

19 Going to the next slide, this just
20 gives an idea, if you went to 5L, as far as some
21 of the chemical composition requirements that are
22 in a API-5L.

1 As far as some of the tests, this is
2 some of the test results if you went out and you
3 did non-destructive test results. This is from a
4 particular service provider. This is the ball
5 indentation type method. And it shows where, on
6 yield strength, tensile strength, if you go and
7 you take the test, that'll give you an idea of
8 actually what it does.

9 It gives you the yield strength, the
10 tensile strength and in a setup, like what we're
11 proposing, you take five samples there of what
12 your pipe yield and tensile was. And from that,
13 you could come up with an average to see the
14 actual yield and tensile of the pipe.

15 Also, there's a non-destructive test
16 equipment to get the chemistry of the pipe. Or
17 you can take a sliver of the pipe and have that
18 tested for chemistry.

19 Some of the other issues or just
20 talking again, what PHMSA proposed was to require
21 operators to establish sample populations based
22 upon similar or comparable pipe to address the

1 vintage, the manufacturer, the type of seam, the
2 pipelines acquired from others.

3 In other words, if you buy a pipeline
4 and you don't know what it is, we would expect an
5 operator -- that to be part of the program --
6 segments of pipeline systems that have been
7 replaced or other reasons for a variation in
8 unknown pipe properties.

9 Just to rehash what we heard the
10 committee tell us and what we are, what we will
11 be considering on going through the slides was,
12 is to clarify that they were two separate
13 activities that drive the need for material
14 documentation.

15 And we heard the committee say you
16 felt like they needed to be addressed separately.
17 And that was that MAOP reconfirmation for
18 pipelines that do not have traceable, verified
19 and complete records supporting the current MAOP
20 including previously untested pipe and then the
21 application of integrity management principles.

22 In other words, the material data

1 records needed to support anomaly response and
2 the remediation calculations for those.

3 Also, some of the comments that we
4 heard was the committee was supportive of the
5 opportunistic approach for verifying material
6 properties. Also, the industry commented to
7 allow statistical cycling plan, develop the
8 operators instead of specifying the number of
9 samples. And we're -- you'll see that we're open
10 to that in everything as we go through this.

11 Another, based upon the committee
12 discussion, PHMSA suggests that the committee
13 consider these items. And it's based upon its
14 revised -- we would revise 607(a) to delete the
15 applicability statements. In other words, where
16 we said that you'd have to do it in certain
17 locations, that 607 would be there for you to use
18 when you need it.

19 In other words, the thing is that,
20 from a PHMSA standpoint, we want there to be out
21 there provisions to where there destructive and
22 non-destructive type tests -- that you do not

1 have to do one-size-fits-all.

2 Also, in 192.607, it would be solid on
3 material verification. It would simply provide
4 the procedure for doing so, if and when required,
5 by 624 or other code sections. In other words,
6 if it's needed for, I mean, 624, you could use
7 it. If it's needed for another code section, you
8 could use it there.

9 Also, we would allow the procedure in
10 607 to be used whenever required or allowed by
11 other sections in Part 192 to address applicable
12 missing records. And PHMSA's goal in this is
13 that if there's not records on the pipeline, for
14 an operator to get the records. In other words,
15 if you're doing digs, if you've got areas where
16 the strength of the pipe has been comprised
17 through corrosion or whatever and you don't have
18 it, you get it.

19 That simple. We're doing the best we
20 can to make sure that, whether it's a San Bruno
21 type PG&E incident or some other type incident,
22 that those records are gathered.

1 Again, and also provide confirmation
2 that 607 does not apply to gathering or
3 distribution of pipelines. Now, in saying that,
4 we would be open to them using it if they needed
5 to use it. But it's not telling them to go do
6 it. If you -- just like Alan had said earlier in
7 the meeting.

8 Also, based upon committee discussion,
9 PHMSA -- oh, I'm sorry. I'm going along on my
10 computer, looking at the same time. I forgot to
11 move the slides. Thanks, John.

12 Anyway, based upon the committee
13 discussion, PHMSA suggests also that we eliminate
14 Paragraph B, again, the develop of a program
15 plan. We're not saying you have to have a plan.
16 And in the context of proposed changes to
17 Paragraph A, Paragraph, B, of course, would be no
18 longer needed.

19 Also, PHMSA would suggest that the
20 committee consider revising proposed 607(c), the
21 documentation to determine the minimum list of
22 attributes. 607(c) would be silent on the

1 specific attributes that need to be verified.

2 It'd be simply that the operators must keep
3 records for the attributes documented under 607.

4 In other words, you get the attributes
5 that you need. In other words, if you have some
6 of the attributes -- we're not saying, every time
7 you have to get every one of them. And, again,
8 we would allow 607 to reverify any pipeline
9 attributes as applicable.

10 And, as required in other sections of
11 Part 192, each operator would have to retain for
12 the life of the pipeline traceable, verifiable
13 and complete records documenting the pipe
14 properties such as diameter, wall thickness,
15 grade, yield strength, tensile strength, seam
16 type, pressure rating established under this
17 section. Whatever you use this section to get,
18 we would expect you, of course, to keep those
19 records and everything.

20 Also, PHMSA suggests that the
21 committee consider that in the context of
22 considering the proposed changes to Paragraphs A,

1 B and C, that we consider retaining the basic
2 aspects of the procedure specified in 607(d).

3 And that would be to retain the
4 opportunistic sampling approach of retaining
5 material properties when excavations are
6 performed for repairs or other reasons using a
7 one per mile standard proposed in the Notice of
8 Proposed Rulemaking - in other words, if you do
9 not have the records for that pipe vintage.

10 Also, if operators desire to use their
11 own statistical approach, retain the requirement
12 to allow operators to submit a notification to
13 PHMSA with their proposed approach. For sampling
14 programs developed by operators with notification
15 to PHMSA, establish a minimum standard that
16 sampling programs must be based on a minimum 95
17 percent competence level.

18 And also, we would reduce the
19 notification time frame from 180 days to 90 days
20 to assure more timely review by PHMSA for
21 objection, no objection or reply back to the
22 operator.

1 Also, based upon committee discussion,
2 PHMSA would suggest that the committee consider
3 in 607(d) that we would reorganize the
4 requirements to separate the sampling aspects
5 into a separate paragraph. And this would better
6 accommodate situations where a single material
7 verification test is needed.

8 We would retain the flexibility to use
9 either non-destructive or destructive test
10 methods for property verification. And also
11 607(d)(3(iv)), we would drop the accuracy
12 specifications and we would retain the
13 requirement that the test methods must be
14 validated.

15 Also, we would drop the mandatory
16 requirements for multiple locations for large
17 excavations. In other words, it would only be
18 one test in two quadrants. And then, for NDE
19 tests, like I just said, we would reduce the
20 number of quadrants from four to two for the
21 test.

22 Also, we would suggest that the

1 committee consider in 607(d)(3)(viii) with
2 respect to how you'd address sample test
3 failures, delete the specified program
4 requirements for how to address sampling
5 failures.

6 We would replace with the requirement
7 for operators to determine how to deal with
8 sample failures through an expanded sample
9 program that is specific to their system and
10 circumstances. And if that happens, we would
11 require notification to provide the expanded
12 sample program to PHMSA.

13 For sampling programs developed by
14 operators with notification to PHMSA, we would
15 establish a minimum standard that sampling
16 programs must be based on a 95 percent competence
17 level.

18 And that's what PHMSA would recommend,
19 and that's what we thought we heard from the
20 committee. And we tried to take what we had
21 proposed before in the notice and we've looked
22 and made these type changes to the proposed rule.

1 Chairman?

2 CHAIR DANNER: All right, thank you
3 for that. I think we're ready to get public
4 comment? All right. So are there members of the
5 public who would like to speak to that? The
6 microphone is in the aisle, so please step up to
7 the microphone.

8 MS. SANDER: Good morning.

9 CHAIR DANNER: So, yes, and please
10 identify yourself.

11 MS. SANDER: Sure, good morning. My
12 name is Lindsay Sander, and I serve as a
13 consultant for the industry and various
14 operators. And I apologize for being the first
15 guinea pig for the morning, but there was one
16 slide that was just talked about by Steve,
17 specifically, about achieving a 95/5 sampling or
18 statistical validity.

19 And for large operators, that's not a
20 problem. We've seen this issue with public
21 awareness and in surveys that have to be
22 generated in order to evaluate the effectiveness

1 of an operator's programs.

2 But for smaller operators with smaller
3 segments of pipe, that statistical validity
4 sampling is almost impossible, if not impossible
5 to achieve.

6 So I would really encourage everybody
7 to come up with an approach that would allow
8 flexibility, particularly for the small
9 operators, in terms of having a process in place
10 to validate their data but not require them to
11 achieve something so specific, because they're
12 not going to be able to accomplish it, as you've
13 outlined.

14 I'm happy to take questions.
15 Otherwise, thank you for the consideration.

16 CHAIR DANNER: All right, thank you
17 very much. There were others? Yes, sir.

18 MR. BELLEMARE: Hi. I'm Simon
19 Bellemare with Massachusetts Materials
20 Technology, and it's a little unusual for
21 solution developers to be speaking here.

22 I spoke in June, so, if you recall, I

1 was the one who made the suggestion to testing
2 two quadrants as opposed to four, plus the seam.
3 And it seems like that was well accepted.

4 I have to say, I have to thank PHMSA,
5 first of all, for doing this big, heavy weight
6 lifting here because it's not easy to make a
7 change. And I think there has been a lot of
8 feedback that has been taken into consideration.

9 Just a little bit about us. So we are
10 a group of 12 well-dedicated engineers,
11 scientists, entrepreneurs. We've developed tools
12 that, at this point, have been used for testing
13 pipes for strength, exactly like what was
14 discussed by Steve.

15 It's non-destructive. It's fast. It
16 is part of the current program when you spend a
17 lot of money digging out the pipe to look at. So
18 when there's a question of cost here, there's
19 also a question of a lot of benefit.

20 So what are the benefits? We know a
21 lot by now -- we have 300,000 miles of high-
22 pressure transmission pipelines. And we know a

1 lot about the remaining wall thickness of those
2 pipes. We know a lot about what the anomalies
3 are on them.

4 We know very, very little about the
5 material properties. We do have some operators
6 have a big stack of records. They're not
7 necessarily specific to where the assets are. So
8 this is just a big challenge. And the reason for
9 the rulemaking, I think, has been discussed.

10 I do come from a background of failure
11 analysis. I was on the team for the World Trade
12 Center collapse. And within two years there was
13 new rules for fire protection of buildings. Of
14 course, we know because it was a high profile
15 case. I worked on a bridge collapse in
16 Minneapolis in 2007 and within two years they had
17 new ways for inspecting those pipes.

18 I think one of the challenges in this
19 industry has been the inability to do it as an
20 affordable test. But for two, three years now,
21 it is. So I would really encourage everybody to
22 step forward.

1 There are a few things, of course,
2 that I would like to point out with respect to
3 the slides. Slide 17 mentioned, "where feasible"
4 with respect to the non-destructive tests. Well,
5 I've heard from a handful of people that this
6 could be misinterpreted because the only other
7 place in the presentation where feasible comes in
8 is economically feasible.

9 And it is, absolutely, economically
10 feasible to test the pipes, for two reasons. The
11 first one is the main cost is to get to the
12 pipeline, remove the dirt and remove the coating
13 for inspection.

14 The second aspect is, by doing the
15 test, you, operator, get to use your budget for
16 repair and replacement or life extension of
17 pipeline towards the pipes that need to be
18 repaired. It allows for better decision making.

19 And there's going to be more
20 discussion about this in the context of not
21 having to do a pressure test but that's, I know,
22 is the next topic.

1 So I hope that I -- so first of all, I
2 want to emphasize, we're not the only solution
3 out there for doing this. The ball indentation
4 was mentioned. The chemistries was mentioned.
5 There are other alternatives. So it is readily
6 available today. It is extremely valuable.

7 And what I've been sensing, as an
8 engineer, for the last three years is a normal
9 process of inertia, but really we believe that
10 this is not necessarily where the industry wants
11 to be, knowing that the use of those pipeline is
12 extremely cost-effective.

13 If you go to the pump station, the gas
14 station, you pay about two and half cents for the
15 fact that the gasoline went through the pipeline.
16 It's one percent of the gas price. So those
17 assets are very, very efficient -- 5 times more
18 efficient than rail, 20 times more efficient than
19 trucks with respect to liquid.

20 So they are the backbone of the oil
21 and gas industry. We all need them, but we also
22 want to care about safety. And that was

1 something that was mentioned.

2 So I would mention that there's a
3 minimum requirement, and it's not a check-the-
4 box. It's something that should be done,
5 actually, more, in my opinion, than what the rule
6 says it should be done. But that is in the
7 context of avoiding the hydrostatic pressure
8 test.

9 I do need to thank the National
10 Science Foundation. They provide us innovative
11 grants to get us to the point where we are today.
12 Tools are available. I also want to really thank
13 the handful of operators that worked with us over
14 the past year so we can get a lot of experience.
15 We've been in 60 digs, so I can stand here and
16 really say that this works, and it will be
17 valuable. Thank you.

18 CHAIR DANNER: Okay, thank you. Is
19 there anyone else? Go ahead, sir.

20 MR. KERN: Good morning. Mike Kern,
21 Director of Transmission Engineering, National
22 Grid. I'm very encouraged by what I saw here.

1 When the rule was first crafted we had some
2 concerns.

3 Just a couple points. So National
4 Grid does support the way the proposed language
5 is and would recommend, you know, for voting for
6 it. There are a couple things, though, that I
7 want to bring up.

8 So Sue Fleck is not here. Sue has,
9 you know, been on this committee for several
10 years. So she always says words matter here,
11 right. So you got to think about what we're
12 writing here is going to be interpreted by
13 somebody else 20 years later, right, and also by
14 state regulators. So words matter.

15 So one of the comments I had for --
16 it's for the applicability, really, and from
17 slide 29, is where are we going to use this?
18 Because if it's applied or if you look at it,
19 someone can think that I have to do this for all
20 my pipe -- distribution, gathering.

21 Just make sure that it's clear. I
22 know you have it more now this is a method that

1 can be used. But we have to make sure that
2 somebody doesn't interpret this and say we need
3 to do this for everything.

4 We fully support it. In fact, we've
5 been doing, on all our excavations this year, IMP
6 excavations. We've been doing at least the
7 strength and tensile verification.

8 I do have some concerns with
9 chemistry, just about it's very reliable in the
10 lab, but in the field we have not found it to be
11 reliable. I mean, we're all for it, understand
12 the applicability of carbon equivalent, but we
13 need to have a technology that's reliable in the
14 field to do that.

15 So to mandate something, but not be
16 able to deliver it, that's an issue. Very
17 valuable, but you have to have a technology that
18 can do it.

19 So a couple things as far as the
20 wording for the opportunistic. We should make
21 sure that there are certain types of excavations
22 you may do under an emergency situation or small

1 keyhole technology that it may not be possible to
2 do that. So we have to make sure that somebody
3 doesn't view that as a violation and say that
4 we've done it.

5 So, and then -- and I see you've
6 addressed that. But we would like to see some
7 kind of, as far as the in situ testing, a
8 reference to this, to the sample amount, to a
9 standard like API-5L or an ASTM standard.

10 But I see that you proposed going to
11 two quadrants. So I think we can support that.
12 We're okay with that.

13 And then, really two, a couple other
14 things. So on the one, we show the population.
15 So I want to just caution about the instructions
16 and how to fill out the annual report.

17 I think operators are taking credit,
18 and there's a little discrepancy in how that
19 information is reported as far as what falls into
20 what bucket. So if we say we have so many miles
21 without adequate pressure test records in Class
22 4, it seems awfully low because, just from being

1 an operator who has some of that mileage, it
2 seems low.

3 And then the other comment I have is
4 on the number of excavations. So you look at
5 repairs versus excavations in the reporting
6 instructions, so there's certain criteria for
7 repair. And that's how that's being reported.
8 But that doesn't reflect actual excavations.

9 So National Grid, alone, makes between
10 60 and a hundred excavations a year on its
11 transmission system. So I would think that that
12 would mean we would be doing between 60 and a
13 hundred in situ tests. So just that point on
14 that.

15 You know, the -- so the repairs are
16 good, the number of repairs. It's good that it's
17 a low number. But the number of excavations that
18 actually lead to those repairs, I would think,
19 would be ten times higher than that amount. So
20 that's really what you would be testing. So for
21 -- I just want to make that point. All right,
22 thank you.

1 CHAIR DANNER: Yes? Hang on just a
2 second. I don't see anyone else coming up to the
3 microphone. So, Steve, why don't you respond to
4 what you just heard?

5 MR. NANNEY: Yes, I'd just like to
6 make a comment. We're very aware that we do not
7 want sampling to get in the way of doing
8 emergency operations, doing one calls, things
9 such as that.

10 And that will be -- would be addressed
11 in any type of rule language that came out
12 because we're of the same opinion that he is, is
13 that you don't let getting a sample for the sake
14 of getting a sample to get in the way of what you
15 need to do. So I just wanted to make that clear.

16 One other thing that we can consider
17 is I understand on the chemistry we've seen
18 results from some methods that are very good on
19 the chemistries.

20 The reason we've got it in there is,
21 as I think we all know, you need to know for
22 welding or you can do other things with heating

1 and the type rods you use and things like that.
2 But to make up for that, we could consider
3 something there going forward. So we understand,
4 again, where the gentleman from National Grid is
5 coming from.

6 CHAIR DANNER: All right, thank you.
7 Are there any other members of the public who
8 wish to comment? Go ahead, sir.

9 MR. OSMAN: Good afternoon. C.J.
10 Osman from INGAA. Just a supportive statement
11 first here. We definitely support many of the
12 changes that PHMSA is proposing here today to 607
13 particularly, you know, ensuring that operators
14 have the material data needed to perform the work
15 that they're doing when they need it for the pipe
16 that they're working on and defining the
17 applicability and the required attributes within
18 the appropriate sections of the code elsewhere as
19 opposed to trying to define it all in 607.

20 One point I wanted to raise for the
21 PAC to discuss is that if the statistical
22 evaluation process is going to require a

1 notification to PHMSA, the PAC should consider
2 what happens if PHMSA doesn't respond within the
3 time identified in the code.

4 The existing regulatory requirements
5 in integrity management require notification to
6 PHMSA if an alternative method or process is
7 going to be used. And there's certainly some
8 sense behind that. But we don't believe that a
9 no objection letter should be required.

10 We believe that if, after the time
11 period has passed, if the operator hasn't
12 received an objection from PHMSA, it would be
13 appropriate for the operator to proceed with the
14 work as scheduled and to continue on with their
15 material verification and with their
16 confirmation integrity management, whatever the
17 task is at hand. So we'd like the PAC to discuss
18 that. Thank you.

19 **COMMENTS FROM COMMITTEE MEMBERS**

20 CHAIR DANNER: Thank you very much.
21 All right, anyone else? All right, seeing no one
22 else, let's turn to the committee. Any members

1 of the committee have comments on Steve's
2 presentation this morning? Chad?

3 MR. ZAMARIN: Thanks. Chad Zamarin
4 with Williams. Two points I was going to raise.
5 One, I still struggle with some of the focus on
6 specific attributes that would be collected at
7 all excavations. I think the intent was to try
8 to ensure that we're not collecting data that's
9 not going to be useful.

10 And I know I still hear a lot of talk
11 about chemistry being required and, you know,
12 that's just not the case. I mean, sure, it's an
13 important variable in welding, but we make
14 conservative assumptions about chemistry across
15 vast areas of our pipelines and weld, assuming
16 that we might have high carbon equivalencies.

17 So it would make zero sense for us to
18 go out and collect chemistry data on those
19 pipelines when, very efficiently, we can just
20 make conservative assumptions and alter our
21 operating practices versus going out and doing
22 unreliable tests or destructive tests or tests

1 that, frankly, don't have value.

2 So I just -- I want us to be careful
3 that we're not continuing to advocate for data
4 collection for data collection's sake -- that
5 we're collecting it where it's needed in order to
6 do good, valid integrity work.

7 There is a section that, I think,
8 still remains in the language, and it's under
9 192.607(d)(iii) which still includes specific
10 data elements. And I don't know if that was
11 intentional, to be left there, but I would
12 recommend that we look at removing that and
13 driving the data that gets collected from the
14 activities that are actually being performed in
15 other parts of the code, but allowing this to be
16 a good process to be followed when collecting
17 that data.

18 And then the only other topic I would
19 raise, it was raised by a comment in the public.
20 This is the first time, I think, we're seeing
21 this no objection letter, but it shows up in
22 other areas, as I read ahead to the remainder of

1 the code.

2 It seems like we're creating a pretty
3 burdensome process for PHMSA, potentially. And I
4 just wonder if it might be better for us to
5 consider, if PHMSA has an objection, PHMSA would
6 issue an objection letter. But if PHMSA does not
7 have an objection, then there would be no
8 objection after some date -- or something that's
9 just more efficient.

10 It just seems like if you look at how
11 many circumstances where we're inserting kind of
12 an unknown new regulatory process that would
13 require some action from PHMSA every time an
14 operator wanted to submit a plan or a proposed
15 solution.

16 CHAIR DANNER: So you're suggesting an
17 objection letter within a certain number of days?

18 MR. ZAMARIN: Right. So right now,
19 it's the operator has 90 days in advance to
20 provide a plan. And PHMSA must submit a no
21 objection letter. I would propose some language
22 where, if PHMSA were to object, they would object

1 within 90 days. And if they don't object within
2 90 days, the operator is free to go forward.

3 CHAIR DANNER: Okay.

4 MR. ZAMARIN: Something like that. So
5 it's not every time you're submitting these,
6 you're having to get PHMSA action. Thank you.

7 CHAIR DANNER: All right, thank you.
8 Steve, your card's up?

9 MR. NANNEY: Yes. I would agree with
10 what you're saying, Chad, is that the intent is
11 that, if PHMSA doesn't reply back in 90 days, to
12 go forward. That's the intent.

13 MR. ZAMARIN: Okay, I think we may
14 need to clarify. It says we must obtain a no
15 objection letter. So it reads like we have to
16 get a piece of paper each time.

17 MR. NANNEY: Okay.

18 CHAIR DANNER: So I thought the 90
19 days was for you to submit a plan.

20 MR. ZAMARIN: It is. It's to submit a
21 plan, but then it also says and must receive a --
22 "must obtain a no objection letter from the

1 associated Administrator of Pipeline Safety".

2 CHAIR DANNER: Oh, so that -- all of
3 that must be done within the 90-day period?

4 MR. ZAMARIN: That's how it reads,
5 yes.

6 CHAIR DANNER: Okay.

7 MR. ZAMARIN: Yes.

8 CHAIR DANNER: Got it. Thank you,
9 sir. Anything further, Steve?

10 MR. NANNEY: No other than I agree, if
11 PHMSA doesn't reply I 90 days, you should be able
12 to proceed forward.

13 CHAIR DANNER: Okay, thank you. All
14 right, Andy?

15 MR. DRAKE: Andy Drake with Enbridge.
16 I think this looks really good, actually, just --
17 we're getting the mechanics to work better here
18 based on some of the discussions we've had over
19 the last -- well, that's now six months ago.

20 But I think this is starting to
21 actually look like it functions really well. I
22 agree with Chad's comments, you know, but I think

1 that, just mechanically, by separating MAOP
2 confirmation from this, it helps, I think, create
3 a practical document about opportunistic.

4 MAOP confirmation is not
5 opportunistic. We haven't tested a pipe in HCA.
6 I think INGAA's been on record now for six years.
7 We need to test those pipes. That's not
8 opportunistic. That needs to happen. That's how
9 you would have caught the PG&E incident in San
10 Bruno.

11 As we move forward with integrity
12 management, I think you're talking about
13 something that's an ongoing event over a lot of
14 pipes, inside HCA, outside. I mean, it just
15 continues to grow and be an obligation. And I
16 think we gather that data over time.

17 I share the comment about (d)(iii) --
18 what is it -- (d)(triple I) or whatever it is.
19 It defines all kind of tests that have to be done
20 at every excavation. I think that's -- I would
21 recommend that be removed.

22 I think what you're asking us to do is

1 this is the process by which we will use to fill
2 in data over time. And we need to define what
3 the need is and, corresponding, what the
4 information we needed to collect to make those
5 decisions.

6 I think the key that somewhere in this
7 -- and it may not need to be in this document --
8 and that is the word opportunistic. The inverse
9 of that is what do you do until you have it?
10 You're going to collect this. It's going to take
11 a long time. What are the assumptions we need to
12 be using, in the meantime?

13 And I think operators -- to Chad's
14 point about weldability, if we don't have a
15 carbon equivalent, we would need to make a
16 conservative assumption based on the data that we
17 have about how to set that weld up for success.
18 And the operator is accountable to develop that
19 plan and have that information.

20 I don't think a lot of this is so
21 binary, where operators have nothing or they have
22 everything. They have a lot of information. It

1 may not meet the total requirements of TVC, but
2 they use that and then they make conservative
3 assumptions.

4 And that's why we should be
5 submitting, I think, as a part of the conclusions
6 that we're making in the interim. But, all in
7 all, I think this is very positive.

8 CHAIR DANNER: All right, thank you.
9 Steve, is your card up?

10 MR. NANNEY: Yes. And, again, Andy,
11 just to address, what we were looking at -- and
12 maybe in the slides it doesn't come out. We're
13 wanting to -- the determination to be missing or
14 unknown material data.

15 And the items we're listing would be
16 such as or -- in other words, if you've got wall
17 thickness, if you've got seam type, we're not
18 expecting you to go get it, is we're -- the
19 expectation the way we would write it would be,
20 if it's missing or if you need it, to get it, not
21 you got to get it, no matter.

22 And that's how we are writing the

1 revision, is that if it's missing or unknown and
2 you need it for certain attributes that you're
3 looking at for safety -- whether that's MAOP,
4 safe pressure, whatever that you suggest.

5 So I think -- I mean, we're agreeing
6 with what you're saying. We're not wanting every
7 time you dig that you've got missing data, you've
8 got to get everything. But you do need to get
9 what you're missing.

10 MR. DRAKE: Yes, and I think that's --
11 it's just like you said, opportunistic over time.
12 I think it's sort of a journey to collect
13 information to kind of sharpen up the insights
14 and the details over time. And I think we're in
15 the same --

16 CHAIR DANNER: Okay. Can I go, Sara,
17 first? All right, Sara?

18 MS. GOSMAN: Sorry, Sara Gosman. So I
19 wonder, Steve, if you could help me understand,
20 when you remove the applicability provision,
21 where we're going to see this process being used?

22 So I understand the reason, which, I

1 think, is to create a process that can be used in
2 other provisions of the act.

3 It's just not clear to me where those
4 other provisions are and whether we have the text
5 in the proposed rule already that's going to
6 apply to it or whether we are going to consider
7 that as part of our discussions later today.

8 CHAIR DANNER: Steve?

9 MR. NANNEY: Okay.

10 CHAIR DANNER: You can go ahead.

11 MR. NANNEY: Okay.

12 MS. GOSMAN: I have other questions,
13 too. That's my first.

14 MR. NANNEY: Okay, can I answer it
15 first? Is if you'll go back and remember, from
16 our meeting in June, one of the things that the
17 committee discussed with us was to do this or
18 taking the applicability out.

19 And as we go through 624 and other
20 sections, that if we needed to add it in there --
21 in other words, in a section of 624, let's say
22 the engineering critical assessment -- if that's

1 needed in there, then we would reference it in
2 there to do.

3 But also, again, it's where -- whether
4 it's in integrity management, whether it's part
5 of this rule-making or whether it's in a non-HCA,
6 again, we based upon what we heard the committee
7 say, we wanted this out there to where it could
8 be used in all facets of safety on the pipelines.

9 Because we realize that if you had to
10 go cut coupons, and it's not very clear, it'd be
11 an argument on how many you have to take in the
12 other. We tried to get something that we thought
13 was reasonable, that you do when you don't know
14 the properties and you've got an issue with the
15 pipe, whether that's some type of anomaly,
16 whether it's corrosion wall loss, whether it's
17 cracking, whether it's -- whatever the issue is.

18 MS. GOSMAN: So just to follow up on
19 that, so when you're -- you have this text here -
20 - trying not to focus that much on the text, but
21 where it says, "wherever required or allowed by
22 this part" -- so when you say "allowed by the

1 part" what do you mean by that?

2 MR. NANNEY: That would be if, let's
3 say, as we go through 624, we probably will wind
4 up putting this in the 624 as a reference.

5 So if it says you got to do it, per
6 607, in a section of 624, we would expect it to
7 be used. It would be required. And we would
8 allow destructive or non-destructive type test to
9 do that.

10 MS. GOSMAN: So one just general
11 comment for the committee, to the extent that
12 this is conditioned on text in, say, 624, I think
13 we might consider voting on this collectively as
14 opposed to just voting on this provision. And
15 then -- because it seems to me important, very
16 much important, right -- where the applicability
17 provision is going to be in looking at that in
18 the particular text of 624 to understand what
19 this, what we're doing here.

20 So that's just a possibility. I don't
21 know if --

22 MR. GALE: Just real quick, Sara. Our

1 recommendation is actually is to look at that
2 applicability, as you, for example, go through
3 each of the methods, right, so that we believe
4 you can actually have a vote on the method.

5 And then when you get into 624, for
6 example, Method 1, Method 2, Method 3, et cetera,
7 you can then have a discussion. Should you then
8 extend the applicability of 624 or to that method
9 to 607.

10 MS. GOSMAN: I understand that. I
11 think my worry is that if, during that
12 discussion, we don't end up applying this
13 provision, then I think was have lost both the
14 applicability provision as well as the provisions
15 in these other texts.

16 So, okay, so I'll continue on. If
17 there's another way of handling that, I -- there
18 probably is. The other thing that I wonder is in
19 terms of removing the plan. So it seems to me
20 like a plan is important regardless of where we
21 are applying this particular provision.

22 So as I understand it, you know, we're

1 stripping out some detail here on some of the
2 provisions. And it strikes me, then, that it's
3 more important to document and plan how we're
4 going to be doing this testing.

5 And then, finally, on the objection
6 letter, so as I understand that provision, this
7 is an alternative to what is otherwise put in
8 this particular process.

9 And I think as a process regulatory
10 person, where you have an alternative in which
11 you are asking PHMSA to approve that alternative,
12 I think it's more than just a notification. It's
13 actually -- I would like to see it be an
14 approval.

15 And so it strikes me that the no
16 objection letter is important to that process,
17 again, because I see this as an alternative to
18 what we're generally saying should happen here.

19 And my concern is -- and perhaps this
20 comes from me having worked in government -- is
21 that there are times where you might just miss a
22 deadline, not because you intentionally did that

1 but because that's the reality of the busy world
2 of agencies.

3 And I think that would -- we don't
4 want to be in a position of authorizing a
5 situation where you might have just missed the
6 deadline and somebody has a particular
7 alternative that is -- would not be the best
8 alternative or the safest alternative.

9 So I just don't want to put an agency
10 in that particular situation. I think everybody
11 acknowledges that you would be doing the best
12 that you could. But I think a no objection
13 letter is important, again, to any sort of
14 alternative to or exception from a set of general
15 provisions.

16 CHAIR DANNER: So let me, if I may --
17 I deal with this all the time. There is also the
18 fear that an agency simply isn't going to get
19 around to it and the company, then, is left
20 waiting.

21 And it could be that some kind of
22 response is necessary, even if it's just a

1 response to say that we need another 30 days.
2 Would something like that satisfy?

3 MS. GOSMAN: Yes. I can see that or
4 some process of further -- not an appeal in the
5 sense of a formal appeal, right, but some process
6 where you could go back and say, we need an
7 answer, you know, again, to trigger that
8 particular decision.

9 CHAIR DANNER: Okay.

10 MR. GALE: Yes, I just want to add,
11 the reason we're talking about this is we had a
12 prescribed approach in there and then there was a
13 desire to create -- you know, there could be
14 alternatives. And so that's why we developed
15 that.

16 My concern with an approval is, just
17 we're taking on some liability there and really
18 wanted to focus, beyond the operator, we provide
19 an alternative, but really it's the operator, up
20 to them to determine.

21 I really would be concerned with
22 creating agency liability, developing liability

1 there for an approval, if you will. But it's the
2 -- really, the responsibility of the operator.
3 We hold them responsible for operating safe
4 systems. So, you know, want to keep the focus on
5 the operator.

6 We'll review it. If we have concerns,
7 we'll respond. But putting like a seal, PHMSA
8 seal of approval, we really kind of -- that's a
9 little concerning there.

10 CHAIR DANNER: All right. Thank you.
11 Cheryl?

12 MS. CAMPBELL: Thank you. I actually
13 would like to ask a question. And, Steven, I'm
14 just asking for clarification, if I may. And I
15 think, Andrew or Chad, we may have talked about
16 it at one point and, again, just trying to make
17 sure I understand.

18 So I think it's 607(d)(iii) where we
19 talk about defining separate populations. I'm
20 wondering, Steve, if you can clarify the
21 intention because this feels like an infinite
22 number of combinations, right, a very large

1 number of combinations.

2 And while I want to be very clear, I'm
3 absolutely in agreement on the opportunistic
4 approach, if I gaps in my records and I have a
5 hole open, I should be working to fill those gaps
6 and to understand the characteristics of my asset
7 so that I can make the appropriate decisions and
8 ensure the safety around my asset.

9 So I absolutely agree with that. I'm
10 just trying to understand what your intent was
11 with the way that this was proposed.

12 MR. NANNEY: I think I've got it on.
13 Okay. First of all, okay. Let's see if that's
14 the same, as the --

15 CHAIR DANNER: Cheryl, it was
16 (d)(iii), right, ma'am?

17 MS. CAMPBELL: I think it's three --

18 CHAIR DANNER: The operator must have
19 --

20 MS. CAMPBELL: Yes, it's three I, so -
21 -

22 MR. NANNEY: Okay, based upon the

1 slide and what we went over, the plan would need
2 to have in it, what we're saying, number one, is
3 that we would expect an excavation to be one per
4 mile. In other words, to give you a specific, if
5 you had a 50-mile system and you didn't have any
6 documentation on it, first you'd start out at --
7 you'd need to do 50 examinations.

8 Okay, if you did have Class -- first
9 this is set up for Class 3 and 4 pipe and HCAs.
10 So, yes, the answer is you could have some
11 portion of it could be one wall thickness for
12 Class 3, a different wall thickness for Class 4;
13 a different wall thickness for Class 1 or 2.

14 That may make, in -- and of it being
15 50, it may be 60 that you have to do or 55,
16 depending upon how those divisions are set up.
17 But normally we would expect it to be based upon
18 a mile type excavation and to be set up on the
19 various wall thickness, class locations that you
20 have.

21 I mean, to go look at a Class 1
22 location and say that's what you've got in Class

1 3 or 4, in that Class 1 HCA, it would not be what
2 we would expect you to do. But probably your
3 Class 3 and 4, based upon the mileage, is going
4 to be a lot smaller sample. So you're not going
5 to be sampling the entire 50 miles. You're going
6 to be sampling that part that's part of 624.

7 Does that make sense? Does that
8 answer your question?

9 MS. CAMPBELL: It does. And I guess
10 what I would ask is, you know, I think we're back
11 to the words matter, right. And, obviously, we
12 don't want to try to write code. I heard you
13 loud and clear, Alan.

14 Let's be thoughtful, right. I'm
15 asking that we are thoughtful in clarifying,
16 right, what your intention is there so that
17 people understand. I mean, part of this is
18 people -- people actually do want to comply,
19 right.

20 But sometimes it's challenging to
21 understand exactly what you're looking for. So I
22 would ask you to be thoughtful around that.

1 MR. NANNEY: Okay.

2 CHAIR DANNER: All right, thank you.
3 It's 10:30. I think this is a good time for us
4 to take a 15-minute break.

5 I've just been taking a list of issues
6 that were raised this morning. There was an
7 issue raised about whether a 95 percent
8 confidence level was workable for small --

9 (Whereupon, the above-entitled matter
10 went off the record at 10:32 a.m.)

11 MR. DANNER: Okay, let's get back to
12 work.

13 Before we broke, I had a list of items
14 that I had jotted down that I thought were still
15 unresolved.

16 Steve, there were two of them that I
17 thought I could ask you to address. One is the
18 question about the 95-percent confidence level
19 for small operators, and the other is scoping the
20 definition of "where feasible". So, if I could
21 ask you to -- oh, Steve?

22 Okay. Before we broke, I read a list

1 of the issues that I had identified as still
2 unresolved or needing further discussion. Two of
3 them were raised by the public commenters. One
4 of those was the 95-percent confidence level for
5 small operators, and the other was scoping the
6 definition of "where feasible". And I was
7 wondering, Steve, if you could address those two.

8 MR. NANNEY: Yes. On the 95-percent
9 confidence level, first of all, that would just
10 be when you came in to PHMSA for other
11 technology. The one-per-mile criteria that we're
12 talking about would apply under a normal
13 procedure.

14 Also, if they needed something
15 different than that, and as we looked at the
16 other technology, we would evaluate it, if we
17 could give a no objection the way it was sent in
18 or if a special permit was needed.

19 The other thing, based upon the
20 mileages and the operators that we've seen, we
21 would not expect that to be anywhere close to the
22 norm; that that would be the outlier, instead of

1 anywhere near the norm for the 95 percent.

2 MR. DANNER: Okay. So, you don't
3 believe that any further revisions to the
4 proposal is necessary?

5 MR. NANNEY: I would not recommend it
6 right now, no.

7 MR. DANNER: Okay. And then, with
8 regard to "where feasible," anybody from staff
9 want to take that up? The issue was raised that
10 we have some language in there, "where feasible,"
11 and that was on page 17. And this was the
12 gentleman from Massachusetts saying, does this
13 include economically feasible?

14 MR. NANNEY: I think the "feasible"
15 wording probably would not be in there on any
16 regulation that we write.

17 MR. DANNER: Okay. This is with
18 regard to allow non-destructive testing to verify
19 material properties where feasible.

20 MR. NANNEY: We would allow it to be
21 used. The "where feasible" would come out.

22 MR. DANNER: Okay. All right.

1 MR. NANNEY: Can I say, there may be
2 some properties that they need to get that non-
3 destructive testing may not be feasible, things
4 such as a Charpy impact. There may be some
5 things there that it is not feasible to get. It
6 may be feasible when we get to that point, but
7 the only reason that was put in at the time the
8 regulation was written was because there were
9 things that it may or may not be feasible.

10 It's like the non-destructive testing
11 versus the destructive. In the past five or six
12 years that has gone from being something that
13 everyone was skeptical about to being a very good
14 process of determining material properties.

15 MR. DANNER: Okay. Thank you.

16 So, no cards are up at this point.
17 So, let me point you to the front. We have some
18 proposals from PHMSA with regard to the voting
19 language with regard to 607.

20 Would you like to tee this up, Alan?

21 MR. MAYBERRY: Sure. I just want to
22 really make a comment because you haven't moved

1 to vote on anything yet. But I know there was
2 discussion earlier about whether or not we wanted
3 to vote on this.

4 My perspective on that -- and I
5 certainly appreciate the concern that we have
6 taken out the applicability section and
7 anticipating that it is covered as we move into
8 624 -- I'd really prefer, just from my
9 perspective, that we would vote, just because we
10 are fresh on it. We have some momentum possibly.
11 Know that I'm anxious to deal with that in the
12 preceding sections. We won't freak about it.

13 The other thing is we can come back,
14 if we need to, after the vote. But it would be
15 nice, while we're fresh on it, I think, if it's
16 the will of the Committee to vote on 607, and
17 then, we can have that off the table. And then,
18 we'll keep in mind that we will deal with the
19 issue of applicability as we deal with the
20 relevant topics where that comes up.

21 So, that's just a comment I wanted to
22 make, and it is subject to the will of the

1 Committee, however.

2 Thanks.

3 MR. DANNER: Okay. So, we have some
4 proposal language in front of us, and it's up
5 there. We can read that.

6 Now the one on the right looks like
7 it's more than one page. So, we may ask you to
8 go back and forth if there is additional language
9 that we should be looking at.

10 Let me call on Chad.

11 MR. ZAMARIN: I don't know if we're
12 ready, but I was going to propose to make a
13 motion.

14 I did just want to address the comment
15 about waiting to vote. You know, I did a very
16 quick look, and there are over a dozen references
17 to 607 already in other parts of the proposed
18 rule. So, I think it would be impractical to try
19 to tie all the different parts of the code and
20 voting to a single vote. So, I would propose
21 that we vote now and deal with those references
22 as we move into those relevant sections.

1 So, I was prepared to make a motion.
2 I don't know if we want to --

3 MR. DANNER: Let me come back to that.

4 MR. ZAMARIN: Okay. Thank you.

5 MR. DANNER: Sara?

6 MS. GOSMAN: I understand the points
7 you're making, but I think because we're removing
8 a general applicability provision and, then,
9 basing this on other provisions that we have not
10 voted on yet, I don't feel like I can vote on
11 this without knowing exactly what the trigger for
12 applicability is in these other provisions,
13 notably, 624. Because I don't know whether that
14 trigger or not is going to -- I mean, if we had
15 already decided on 624 and I knew that all of
16 those places were still going to be in, right,
17 that would be one thing. But I don't know that
18 right now. And so, for that reason -- I
19 understand the issue around it being in our
20 heads, but I feel like it will still be in our
21 heads when we come to that section as well. So,
22 I would like to delay the vote until we discuss

1 the applicability in the particular provisions.

2 MR. DANNER: So, all right, Chad, is
3 your card up to respond to that? Okay.

4 MR. ZAMARIN: I mean, I would just say
5 that, if there's a problem with 624, when we vote
6 on 624, I think we would address it through that
7 vote. So, I think we've got to decide what we
8 want to do here, but I still would propose that
9 we vote to try to keep progress moving. But that
10 was it.

11 MR. DANNER: All right. So, yes? You
12 want to see the second page on the right?

13 MR. GALE: Yes, members, just real
14 quick, what you're looking at. On the left side
15 is a very generic set of -- or a generic voting
16 slide. On the right would be a more prescriptive
17 voting slide. It's about three pages long. It
18 kind of outlines what we've discussed and what
19 was covered in the voting slide.

20 So, we're giving you two options, in
21 other words. One is just a more generic phrase
22 of "as discussed" or "in the meeting" or

1 "reflected in the slides," then to consider the
2 comments made by the Committee members.

3 On the right side, though, is a much
4 more descriptive set of recommendations that
5 would come from the Committee in direction to
6 PHMSA staff.

7 MR. DANNER: Okay. So, before we
8 actually entertain a motion, I think we should
9 have some discussion about whether we want to --
10 do we want to entertain the longer motion? Do we
11 want to have a more concise motion? Words
12 matter. Sometimes fewer words matter. So, I'd
13 like to see what the sense of the Committee is
14 with regard to that.

15 And then, the other question I have
16 is, would the Committee entertain -- and, Sara,
17 would this be acceptable to you, if we simply,
18 when we do vote on this, if we do approve this,
19 that we make this contingent upon consensus or,
20 basically, making it conditional upon agreement
21 on 624?

22 MS. GOSMAN: I think that's a more

1 complicated scenario, a conditional vote. And I
2 think it is just not as nice and clean for the
3 record.

4 MR. DANNER: Well, what it means is,
5 if we come to loggerheads on 624, and we don't
6 achieve an acceptable or consensus outcome
7 there, then, basically, it means that this vote
8 is nullified; we need to come back and revisit
9 this.

10 MR. MAYBERRY: We're adding just what
11 that could possibly look like on the second
12 bullet up there.

13 MR. DANNER: Okay. While we're
14 waiting on that, Mr. Bradley?

15 MR. BRADLEY: Yes, thank you, Mr.
16 Chairman.

17 I was just reflecting back to some of
18 the comments that Cheryl made about,
19 specifically, 607(3)(I). And I was hoping to see
20 if it up in the clarifications, specifically the
21 intent, that the intent wouldn't be that there
22 would be an endless combination of possible digs

1 required; specifically, that we would excavate
2 and find the material deficiency needed to make
3 the calculations needed, versus the way some of
4 the language is written. It's almost like it was
5 implied in the conversation.

6 But, if we're putting sort of
7 conditions up for voting, which seems to right,
8 it seems that we would put something in there
9 that would speak to the intent of what you were
10 looking for in 607(3)(I). Yes, (d)(3)(I).

11 MR. DANNER: (d)(3)(I)?

12 So, sorry, Alan, it looks like we're
13 wordsmithing.

14 MR. BRADLEY: No, I didn't want to
15 wordsmith. I just wanted just to collect the way
16 we had collected, that there was a consideration
17 from an intent perspective that said, I'm not
18 asking you guys to go on a witch hunt. I want
19 you to find the information you need to make the
20 calculations needed.

21 And if it's up there, that's great. I
22 just didn't finish reading to see what's up

1 there.

2 MR. DANNER: Okay.

3 MR. MAYBERRY: I thought it was
4 covered in the -- there is a point, and I think
5 Stephen described it, where that stop when you
6 achieve the confidence level. It's part of it.
7 It's built into it.

8 MR. DANNER: Okay. Steve is looking
9 right now.

10 John, is your card up?

11 MR. GALE: No, I'm sorry, we're trying
12 to work some language.

13 MR. DANNER: Okay. All right. Then,
14 Chad?

15 MR. ZAMARIN: Yes, I was just going to
16 say, I mean, just looking ahead, this section,
17 again, I want to reiterate, is a process that we
18 intend to have referenced in multiple parts of
19 the code, and in the proposed language that we're
20 going to be looking at over the next several
21 meetings. Just a very quick review, 619
22 references 607; 624 already references it five

1 times' 713 references 607; 929 references 607.
2 So, I really don't think it makes sense to tie a
3 vote on this section to other areas that we can
4 discuss and determine whether or not they
5 sufficiently reference 607.

6 So, I just want to again, you know,
7 this was kind of to respond to the thought about
8 whether we vote for it now or not.

9 MR. DANNER: Okay, and I don't know
10 that you, Sara, were responding, or wanted to
11 have those linkages to the other sections.
12 You're just really focused on 624?

13 MS. GOSMAN: Yes. I guess what I
14 would say is, as I read the general applicability
15 provision, we would, as originally proposed,
16 right, we were going to apply this to pipelines
17 that do not have reliable, traceable, verifiable,
18 and complete material documentation, that are
19 located in an HCA or that are located in a Class
20 3 or Class 4 location. So, pretty broad
21 applicability provision.

22 So now, we're taking that

1 applicability provision out and we're going to
2 just focus on the specific references in other
3 parts of the code. That's a big change to me.
4 And so, for me to vote on that, I think it
5 becomes more important, right, to look at those
6 other provisions and decide whether they apply or
7 not. So, that's why I have this concern.

8 I think it's a more complicated
9 process to condition it on our acceptance of the
10 triggers in the other provision. I mean, we can
11 certainly do it that way. I just think it's not
12 as clean.

13 MR. DANNER: So, this means that we
14 are not dealing with 607 possibly until March or
15 beyond, because that's when the 624 discussion
16 would probably come to closure, unless we were to
17 deal with it today and tomorrow.

18 MS. GOSMAN: But I think what we've
19 heard around the room is that there is general
20 agreement on a lot of these issues. So, it
21 strikes me, I mean, unless people change their
22 mind in the intervening time, which I suppose

1 they could, but I think we've come to a point
2 where there's a general understanding of what
3 we're doing here. It would follow naturally
4 along after a vote on the other provision, it
5 strikes me.

6 MR. DANNER: So, my response to that
7 is, if we don't reach some kind of closure on
8 607, even if it's conditional upon 624, then it's
9 left open. We're going to have this discussion
10 all over again, and we'll be here next August
11 discussing 607, where we have an opportunity to
12 actually put it in a box. It doesn't mean that
13 the box can't be reopened, but at least it's in
14 the box. And that's my response. I don't know
15 if you have a response to that.

16 MS. GOSMAN: Yes, I understand your
17 concern. I'm fine with conditioning it. It's
18 just, again, from a sort of clean process
19 standpoint, I think it's a complicated vote and
20 not as nice for the record. But that does
21 address my concern, which is that we are
22 conditioning it on the later discussion of 624.

1 MR. MAYBERRY: If I may, possibly
2 another way to skin the cat would be to vote on
3 607 except for the applicability part, which we
4 would deal with later in 624. I don't know if
5 that would --

6 MR. DANNER: Okay.

7 MR. MAYBERRY: But it would be
8 subsumed by 624. I'm just trying for another --

9 MR. DANNER: I understand.

10 MR. MAYBERRY: Yes.

11 MR. DANNER: Thank you. I think we're
12 all trying to figure out the best way to deal
13 here.

14 MR. MAYBERRY: All options.

15 MR. DANNER: Mark?

16 MR. BROWNSTEIN: So, I thought I heard
17 the suggestion that another way maybe to handle
18 this is to frame the motion on the expectation
19 that this provision has broad applicability and
20 is represented in other sections. It's
21 ultimately up to PHMSA to go back and draft
22 regulation that is consistent with the sort of

1 expectations of the Committee. And if you fail
2 to do that, you'll hear about it. And that may
3 be another way to do this.

4 Because I'm very much aware of the
5 fact that, I mean, a general applicability
6 provision is being struck here because there is
7 the expectation that this section ties to a
8 number of different sections, not just 624,
9 right? And so, we don't want to make too much of
10 a fetish of 624 because this is a general
11 applicability provision that's being struck, with
12 the understanding that this ties to a whole bunch
13 of other stuff.

14 And if it doesn't at the end of the
15 day -- and, in fact, we were talking in a sidebar
16 during the break about the fact that at some
17 point PHMSA may actually want to put together
18 sort of a flowchart here.

19 (Laughter.)

20 Okay. That shows, in fact, how this
21 fits together. And, in fact, a flowchart may not
22 be a bad idea in the sense that it's a good check

1 on your work, No. 1, and, No. 2, it speaks to
2 ways in which you might be able to simplify your
3 processes, so the chart doesn't look as hideous
4 as the laughs imply it would.

5 MR. DANNER: Alan, do you want to
6 respond to -- we've heard some suggestions.

7 MR. MAYBERRY: I think it still gets
8 back to what we have on the right there, where
9 we're talking about addressing it in 624, I think
10 that's really the same thing. So, I think you
11 can rely on us. I mean, we will keep up with it.
12 I know it adds a wrinkle to the vote, but, I
13 mean, it's something that we're already planning
14 to do. But it just documents for the record that
15 the expectation is that it will be addressed in
16 624, as we see that it is, and that we need to
17 come back to 607, we can do that. Certainly,
18 it's the prerogative of a Committee member to
19 raise an issue, if something is not addressed
20 later, to say, "Hey, we need to revisit 607," and
21 we could do that at a later point.

22 MR. DANNER: Does that language look

1 okay to the two of you over there?

2 And while you're considering that,
3 Andy, do you want to --

4 MR. DRAKE: Sure. Andy Drake with
5 Enbridge.

6 I actually like the red, to answer
7 your question.

8 (Laughter.)

9 I think that I can appreciate the
10 concern about applicability. You take it out and
11 it vaporizes, and, all of a sudden, you wonder,
12 is anything going to key this up? I get it.

13 I think maybe just the pragmatic part
14 of this is, this is just a process. And when we
15 take that part, the limiting part out, this
16 actually is pretty broadly applicable. And so, I
17 think the adding of the red makes sense to me,
18 that we're just voting on the process that you
19 would go through as it's queued up, wherever it's
20 queued up. We still have to reserve the right to
21 clarify that mechanic, but I think I would
22 recommend that we review the process as a process

1 with a placeholder to come back to applicability
2 and make sure we're comfortable with it in all
3 the sections that it's in. And that may take a
4 while.

5 I don't mean to be pessimistic here,
6 but I think it makes sense to me that -- what
7 you're concerned about makes sense to me, but I
8 think we are just looking at the process. I
9 think we can vote on the process as a process, as
10 long as we remember we have to clarify what
11 sections queue it up as its own discussion.
12 There are several.

13 MR. DANNER: Okay. So, I'm getting
14 the sense that we are focusing on the right side
15 and not on the left. Is that the sense of this
16 Committee, that we're looking at the longer
17 alternative?

18 MR. BROWNSTEIN: It would be helpful
19 to have a couple of minutes to read it.

20 MR. DANNER: Absolutely. Well, what I
21 was thinking is, if we are not going to discuss
22 the one on the left, maybe we can have two pages

1 up at the same time. Maybe that's not possible.

2 MR. NANNEY: Hey, David? There's four
3 of five pages of this, three pages now, I guess.
4 If you would like, we can go through each bullet
5 or you can read them on your own.

6 MR. DANNER: What's the sense? Do
7 people want to go through these bullet-by-bullet?

8 MR. NANNEY: By starting on page 1, as
9 we had gone over earlier, "Clarify that material
10 verification applies to onshore steel
11 transmission lines only, and not distribution or
12 gathering lines." And I think that was loud and
13 clear. It's the title of the section, but we put
14 it in other places, too.

15 The second bullet, as we've all talked
16 about, is in proposed paragraph (a). "Remove
17 applicability criteria and make material
18 verification a procedure for getting missing or
19 inadequate records or verifying pipe attributes,
20 if and when required, by 624 or other code
21 sections. The Committee will address the
22 applicability of 607 under each of the methods of

1 MAOP verification discussed in 624 and other
2 sections as appropriate."

3 In other words, as we go through 624
4 and other sections, if we need to come back to
5 607 and make some tweaks to it, as I will call it
6 in my Southern accent, we will do that.

7 The third bullet is in proposed
8 paragraph (b). "Delete the requirements for
9 creating a material verification program plan."
10 I would call that "plan or procedure". And that
11 procedure is already called out in the
12 regulations under 192.605, that the plans become
13 procedures.

14 The last bullet in proposed paragraph
15 (c), "Drop the list of mandatory attributes
16 operators must verify, but require operators to
17 keep records developed through this material
18 verification method."

19 Going over to the left on page 2, it
20 is "Retain the opportunistic approach for
21 attaining unknown or undocumented material
22 properties when excavations are performed" --

1 whoops; go on? Okay. -- "using a one-per-mile
2 standard proposed by PHMSA, but allow operators
3 to use their own statistical approach and submit
4 a notification to PHMSA with their method.
5 Establish a minimum standard of 95-percent
6 covariance level for operators' statistical
7 methods submitted to PHMSA."

8 The next bullet, "Retain flexibility
9 to allow either destructive or non-destructive
10 test when verification is needed." And I think,
11 of everything, this is the main key in this
12 that's needed, is to give the operators that
13 flexibility.

14 The third bullet is, "Incorporate
15 language stating that, if an operator does not
16 receive an object letter from PHMSA within 90
17 days of notifying PHMSA of an alternative
18 sampling approach, the operator can proceed with
19 their method. PHMSA will notify the operator if
20 additional review time is needed."

21 In other words, this happens with the
22 states. This even happens with the 180-day

1 notification now. If the operator has not given
2 PHMSA full information, issues come up, the 90-
3 day goes further.

4 And as John had said earlier, there's
5 only one case with a state that we ran into a
6 problem, and that was due to something beyond
7 PHMSA's control.

8 The last bullet is, "Revise the
9 paragraph to accommodate situations where a
10 single material verification test is needed." In
11 other words, additional information is needed for
12 anomaly evaluation repair.

13 And then, going over to the right on
14 slide 3, "Drop accuracy specifications. In other
15 words, retain requirement that test methods must
16 be validated and that calibrated equipment be
17 used."

18 In other words, while we would want
19 that is, if you are using non-destructive test
20 equipment, we want your equipment to be
21 calibrated, and calibrated for the type material
22 you're actually testing.

1 "Drop the mandatory requirements for
2 multiple test locations for large excavations."
3 In other words, multiple joints. There would be
4 one joint and two quadrants, and that's what the
5 next bullet says.

6 "Reduce the number of quadrants at
7 which NDE test must be made." It's from four to
8 two.

9 The next bullet is, "Delete the
10 specified program requirements for how to address
11 sampling failures and replace with a requirement
12 for operators to determine how to deal with
13 sample failures through an expanded sample
14 program that is specific to their system and
15 circumstances. Require notifications to provide
16 expanded sample program to PHMSA and require
17 operators to establish a minimum standard that
18 sampling programs must be based on a minimum 95-
19 percent confidence level."

20 And then, last, "Clarify the
21 applicability in 607(d)(3)(I)."

22 MR. DANNER: All right. Thank you.

1 First, just a couple of the issues
2 that were raised. Ron, does this language, do
3 you think it captures what you were looking for
4 with regard to that intent?

5 MR. BRADLEY: Yes, it works for me.

6 MR. DANNER: Okay. And then, if I
7 could go back to the previous page, the no
8 objection language, the objection letter within
9 90 days. And I wanted to ask if the people who
10 raised concerns on that, if this language is
11 satisfactory? Sara or Mark?

12 MS. GOSMAN: I'm fine with this
13 language.

14 MR. DANNER: Okay. So, it looks like
15 we are ready to entertain a motion. The only
16 thing that we haven't heard yet is really the
17 question about what does it mean to be overtime.
18 What is the timeline for satisfying -- you know,
19 we've got a process here. It's opportunistic.
20 How long do we think it's going to take to get
21 complete data?

22 Yes, Steve?

1 MR. NANNEY: Again, the timeline,
2 again, I think I've stated what I think from my
3 vantage point in looking at this. It is, as we
4 apply it to 624, there are time mechanisms in 624
5 on the portions, as Chad had said. It's in
6 numerous places there that it will be required.
7 624 has its timing. For other places that
8 operators could use this in non-HCAs and non-
9 applicability for this rule, it could be anytime.
10 So that it would be the timeframe that, from a
11 PHMSA perspective, I think we would expect it to
12 be.

13 MR. DANNER: So, if somebody asks you,
14 then, okay, how long do you think, as opposed
15 to -- we're using an opportunistic approach as
16 opposed to a mandate that you go out and gather
17 this information. How long is this going to
18 take? As opposed to having a mandate that says,
19 you know, thou shalt get all this information
20 within five years or ten years, or something?

21 MR. ZAMARIN: Mr. Chairman, this is
22 Chad Zamarin with Williams.

1 MR. DANNER: Chad?

2 MR. ZAMARIN: Just as a preview, in
3 624 it would require it within 15 years, and the
4 highest-risk segments would have to be in the
5 first eight years.

6 MR. DANNER: Okay.

7 MR. ZAMARIN: So, there are very
8 specific timelines in the sections we're going to
9 be reviewing down the --

10 MR. DANNER: All right. Okay.
11 Because I do think that's kind of the elephant in
12 this room --

13 MR. ZAMARIN: Yes.

14 MR. DANNER: -- that we need to make
15 sure that we're getting past.

16 Mark?

17 MR. BROWNSTEIN: And I recognize that
18 that probably answers the more narrow question in
19 terms of the specific congressional mandate. I
20 guess sort of a more general question would be,
21 for areas outside of HCAs, Class 1/Class 2? I
22 mean, at what point do we have a good

1 understanding of the condition of our interstate
2 pipeline system in this country as a result of
3 the information-gathering processes that we're
4 enshrining in this rule?

5 MR. DANNER: Steve or Alan?

6 MR. MAYBERRY: I would add that, of
7 course, the focus here, you know, this is an
8 outcome of an accident that occurred and
9 recommendations that came as well. So, we're
10 dealing specifically here, you know, Class
11 3/Class 4, HCAs, MCAs. And that's what we're
12 trying to pick off here.

13 If you look at the larger program,
14 however -- and this is a reminder I give to our
15 people, and certainly when I talk to industry --
16 if we're assessing corrosion, for instance, you
17 know, what good does it do to assess corrosion if
18 you don't know the pipe you have?

19 So, it's up to us to ask the right
20 questions. It's up to the operator to know what
21 they have and to assess it properly. So, I think
22 we have tools in place already to do that.

1 Right here, we're dealing with the
2 highest-risk part of it, but, again, I think we
3 have tools in place. We just need to all do a
4 better job of implementing those tools.

5 MR. DANNER: Okay. Yes. I mean, but
6 the question is, right, at what point do we know
7 what we have in the ground and what its condition
8 is? And I understand that we're taking a phased
9 approach with the idea that the pipeline that is
10 closest to populated areas or sensitive
11 population, and so on and so forth, is
12 prioritized. Certainly, no one disputes the
13 logic of that.

14 But, at the end of the day, if a part
15 of PHMSA's responsibility is to make sure that we
16 have integrity in our pipeline system, right, the
17 question is, do we know what the condition is of
18 the pipe in the Class 1/Class 2 areas or areas,
19 or 3 or 4s outside the HCAs? And what do we know
20 and when will we know it, is the fundamental
21 question.

22 Because it may not be an immediate

1 public safety risk, but it certainly is an
2 economic risk, and I would dare argue an
3 environmental risk, if the condition of that
4 pipeline is not in good shape.

5 MR. ZAMARIN: Can I just --

6 MR. DANNER: Yes, Chad?

7 MR. ZAMARIN: Chad Zamarin with
8 Williams.

9 I don't think it's the scope of
10 this rulemaking or the legislation, but I would
11 just offer that we do report what we do beyond
12 just high-consequence areas. We don't pig a line
13 and only analyze the section of it that's near
14 population. We analyze the entire pipeline. We
15 don't respond to just anomalies within the high-
16 consequence areas that are required by code. We
17 respond to all areas of our pipeline.

18 The legislation and the regulations
19 have focused on those areas of highest
20 consequence and priority, but we do report some
21 prescriptively under the code and some
22 voluntarily. We report the amount and we

1 consider it overtesting, but we've made a
2 commitment that we apply these same practices
3 across all pipelines.

4 And so, I think it's a great
5 discussion to continue to having, I think, as we
6 go forward, but the reality is, when you see
7 numbers like what were reported, the number of
8 repairs that are made, there's typically around
9 10 times that being made across the entire
10 pipeline network, because we're capturing, when
11 we do our assessments, we're capturing large
12 areas of the pipeline, not just the area that is
13 required by code.

14 MR. BROWNSTEIN: And I respect that,
15 and I'm assuming that individual operators can
16 probably speak to the question that I'm asking
17 for their systems. I guess my question really is
18 to the agency, as the overseer of the system,
19 right? Do we have an answer for that? And maybe
20 the answer is, no, we don't. Okay. And that's
21 fine. That's an answer to the question, but I'm
22 asking it.

1 MR. MAYBERRY: I think, certainly,
2 we've seen that knowing a system is incredibly
3 important, and there have been issues here. I
4 think we're chipping away at that with the high
5 risks over here, but I think it's just something
6 that will continue to be needed to be addressed,
7 again, to our oversight and operators, and asking
8 the right questions, and operators implementing
9 things as they were intended.

10 And that's where I see, also, a role
11 of SMS to -- you know, it's another way to manage
12 organizationally pipeline safety that goes beyond
13 just high-consequence areas or Class 3 and 4.

14 MR. DANNER: All right. Steve, did
15 you have your card up?

16 Okay. All right. John?

17 MR. GALE: John Gale, PHMSA.

18 Mark, as you pointed out, this is one
19 small sliver of a very specific mandate that
20 we're discussing. And also, this is one part of
21 this rule.

22 I would like to also point out to the

1 members and remind members, right, there's also a
2 provision in this rule related to assessing
3 outside of the HCAs that we've proposed. And we
4 are covering the things called MCAs, where we
5 bring in areas that would be Class 1/Class 2,
6 where we will begin to figure out what is the
7 condition of those pipes.

8 So, we think we are starting to
9 address those areas by expanding the concepts of
10 assessments outside of HCAs and, of course,
11 repair criteria, accordingly.

12 MR. DANNER: All right. Steve, did
13 you have your card up? No, no, you.

14 MR. NANNEY: I was going to say the
15 same thing that John said. But, also, with
16 having this non-destructive approach, just like
17 what Chad said earlier, on these other locations
18 outside of HCAs, outside of the Class 3 and 4,
19 and the moderate consequence areas that we'll be
20 discussing later on, which will also expand the
21 mileage, but outside of those, by having this,
22 the expectation would be that, when you use

1 RSTRENG, when you use B31G, when you use those
2 repair equations, that if you do not have the
3 properties of the pipe, that you would get the
4 properties. We're putting in the code a
5 methodology that you should be able to
6 conveniently get those.

7 That being said, does PHMSA know where
8 all the records missing are? The answer is just
9 like what John and Alan said. The answer is no,
10 because the mandate from Congress in what we can
11 go out and ask questions about did not include
12 all of those areas. So, PHMSA was not able in
13 the questions we asked to get everything that
14 you're asking us to know today. That was not
15 part of it, and we could not do that.

16 MR. BROWNSTEIN: And let me just say,
17 I respect the work that has been done, and I'm
18 certainly prepared to vote for this section.
19 Okay? I just want to, for the record, all
20 right -- because I think, from a general public
21 perspective, right, I think the expectation is
22 that we know (a) where our pipe is; (b) we know

1 what general condition it is, and (c) that we
2 have maintenance practices in place to keep it
3 sound. And that's a public safety issue. That's
4 an economic liability issue. That's an
5 environmental issue. Pick your favorite
6 attribute.

7 So, this is progress in that
8 direction, okay, but we aren't there yet in terms
9 of, I think, needing what I would assume, what I
10 believe is a basic public expectation. And there
11 may be limits to what PHMSA can do with the
12 budget it has and the authorization it has, but
13 we should all be on the same page with what we're
14 doing and, frankly, what we're not doing here.

15 MR. DANNER: All right. Alan?

16 MR. MAYBERRY: Yes, totally appreciate
17 that. One thing I've learned in the last 11
18 years of working for the federal government as a
19 policymaker is you make your incremental steps to
20 advance the safety ball. And your focus is
21 really putting -- because you're impacting the
22 resources that people use to improve pipeline

1 safety, and we want measurable safety
2 improvement, we want the resources to be put in
3 the right place. So, we make incremental steps
4 to that end.

5 And certainly, in this case we have a
6 step given to us by Congress, and certainly with
7 recommendations from the NTSB, to do that. We'll
8 make this move. We'll see how it goes. And I
9 think, through SMS, there will be other lessons
10 learned that can give us ways to go forward down
11 the road. But we'll just make incremental steps.

12 MR. DANNER: All right. Chad, did you
13 have something to add?

14 MR. ZAMARIN: I was going to make a
15 motion.

16 MR. DANNER: Okay. So, let me get to
17 Steve, and I promise I'll get back to you.
18 You're the motion guy.

19 MR. ZAMARIN: Yes, I'm ready.

20 (Laughter.)

21 MR. DANNER: Okay. Steve?

22 MR. ALLEN: Steve Allen, Indiana

1 Utility Regulatory Commission.

2 To your point, Mark, I think everyone
3 recognizes and appreciates that, yes, we need,
4 the public needs, has the right to know that we
5 know what we have in the ground, where it is,
6 what condition it's in. That's a journey.
7 There's a lot there, and this is a step in the
8 right direction.

9 I think Andy pointed out this is a
10 process that will be referred to in other
11 sections that we're going to be getting to today.
12 And I think that's where the real lively
13 discussion is going to be had.

14 So, thank you.

15 MR. DANNER: Okay. I keep thinking
16 back to it's a journey, not a destination, but I
17 think the destination has to be in mind.

18 Are we ready for a motion? Chad?

19 MR. ZAMARIN: Okay.

20 MR. DANNER: Go for it.

21 MR. ZAMARIN: Chad Zamarin, Williams.

22 This is a long one.

1 The proposed rule, I make a motion the
2 proposed rule is published in The Federal
3 Register and the draft regulatory evaluation with
4 regard to the provisions for material
5 documentation under 192.607 are technically
6 feasible, reasonable, cost-effective, and
7 practical if the following changes are made:

8 Clarify that material verification
9 applies to onshore steel transmission lines only,
10 and not distribution or gathering.

11 In proposed paragraph (a), remove
12 applicability criteria and make material
13 verification a procedure for getting missing or
14 inadequate records or verifying pipeline
15 attributes, if and when required by 192.624 or
16 other code sections.

17 The Committee will address the
18 applicability of 192.607 under each of the
19 methods of MAOP verification discussed in 192.624
20 and other sections, as appropriate.

21 In proposed paragraph (b), delete
22 requirements for creating the material

1 verification program plan.

2 In proposed paragraph (c), drop the
3 list of mandatory attributes operators must
4 verify, but require operators to keep records
5 developed through this material verification
6 method.

7 In proposed paragraph (d), retain the
8 opportunistic approach of obtaining unknown or
9 undocumented material properties when excavations
10 are performed for other repairs or other reasons,
11 using a one-per-mile standard proposed by PHMSA,
12 but allow operators to use their own statistical
13 approach and submit a notification to PHMSA with
14 their method.

15 Establish a minimum standard of a 95-
16 percent confidence level for operator statistical
17 methods submitted to PHMSA.

18 Retain flexibility to allow either
19 destructive or non-destructive tests when
20 verification is needed.

21 Incorporate language stating that, if
22 an operator does not receive an object letter

1 from PHMSA within 90 days of notifying PHMSA of
2 an alternative sampling approach, the operator
3 can proceed with their method. PHMSA will notify
4 the operator if additional review time is needed.

5 Revise the paragraph to accommodate
6 situations where a single material verification
7 test is needed; e.g., additional information is
8 needed for an anomaly evaluation or repair.

9 Drop accuracy specifications.

10 Retain requirement that test methods
11 must be validated and that calibrated equipment
12 must be used.

13 Drop mandatory requirements for
14 multiple test locations for large excavations,
15 multiple joints within the same excavation.

16 Reduce the number of quadrants at
17 which NDE tests must be made from four to two.

18 Delete specified program requirements
19 for how to address sampling failures and replace
20 with a requirement for operators to determine how
21 to deal with sample failures through an expanded
22 sample program that is specific to their system

1 and circumstances.

2 Require notification to provide
3 expanded sample program to PHMSA.

4 And require operators establish a
5 minimum standard that sampling programs must be
6 based on a minimum 95-percent confidence level.

7 And clarify the applicability of
8 192.607(d)(3)(I).

9 MR. DANNER: Thank you.

10 Is there a second?

11 MR. HILL: Robert Hill would like to
12 second that.

13 MR. DANNER: Okay, Robert Hill has
14 seconded it.

15 Is there any further discussion before
16 we take a vote?

17 (No response.)

18 All right. Cameron, I understand
19 you're responsible for the vote-taking.

20 MR. SATTERTHWAITTE: Yes, I will do a
21 roll call for a vote on the motion. Your options
22 are aye, nay, or abstain. And I'll just go

1 straight through.

2 Andy Drake?

3 MR. DRAKE: Aye.

4 MR. SATTERTHWAITE: Chad Zamarin?

5 MR. ZAMARIN: Aye.

6 MR. SATTERTHWAITE: Cheryl Campbell?

7 MS. CAMPBELL: Aye.

8 MR. SATTERTHWAITE: David Danner?

9 MR. DANNER: Aye.

10 MR. SATTERTHWAITE: Mark Brownstein?

11 MR. BROWNSTEIN: Aye.

12 MR. SATTERTHWAITE: Richard Worsinger?

13 MR. WORSINGER: Aye.

14 MR. SATTERTHWAITE: Richard Pevarski?

15 MR. PEVARSKI: Aye.

16 MR. SATTERTHWAITE: Bob Hill?

17 MR. HILL: Aye.

18 MR. SATTERTHWAITE: Ron Bradley?

19 MR. BRADLEY: Aye.

20 MR. SATTERTHWAITE: Sara Gosman?

21 MS. GOSMAN: Aye.

22 MR. SATTERTHWAITE: Stephen Allen?

1 MR. ALLEN: Aye.

2 MR. SATTERTHWAITE: Terry Turpin?

3 MR. TURPIN: Aye.

4 MR. SATTERTHWAITE: It's unanimous.

5 The vote passes.

6 MR. DANNER: All right. Thank you,
7 everybody, for a productive morning.

8 All right. Is this a good time for us
9 to -- it's an early lunch.

10 All right. Let me give the floor to
11 Alan for a moment.

12 MR. MAYBERRY: I just wanted to bring
13 up, call your attention -- Andy had mentioned
14 possibly having a 15-minute discussion on
15 gathering. And I think it would be best really
16 -- we would recommend, implore the Committee to
17 save that until, I would suggest -- I had
18 mentioned June, which June I think we'll be in
19 full swing discussing gathering. But I would
20 suggest we bring that up, at least keying up and
21 strategize of it for the March meeting. By that
22 time, I anticipate we'll have more participation

1 by the stakeholders and, hopefully, a new member
2 that may be able to weigh-in on that as well.
3 So, that's what I would suggest to the Committee,
4 if we could.

5 And we have enough business to go
6 through today, anyway. But, if we could do that,
7 I would think that would be the way to go.

8 MR. DANNER: All right. What is the
9 will of the Committee on that?

10 Andy?

11 MR. DRAKE: Since I brought it up --
12 this is Andy Drake -- I think that's appropriate.
13 I think this gives us a chance to be a little
14 more collected and make sure the right folks are
15 all here and ready for that conversation.

16 I just don't want to see it cascade
17 all the way to June. I think we just need to
18 start talking, where are we going to go, how do
19 we want to address the issues that have become
20 obvious in the context of the meetings over the
21 last couple of months?

22 MR. DANNER: All right. Your point is

1 taken.

2 Anything further?

3 (No response.)

4 So, your reward for good work this
5 morning done early is that you get a longer
6 lunch. We will break now and return at 1:30.

7 Thank you.

8 (Whereupon, the foregoing matter went
9 off the record for lunch at 11:42 a.m. and went
10 back on the record at 1:33 p.m.)

11 MR. MAYBERRY: All right. Thanks,
12 everyone. I hope you enjoyed lunch.

13 We had a very successful morning,
14 voted on 607. Thank you.

15 Maybe we have some momentum to vote on
16 624. Do you think we could sneak that in? Let's
17 try it, yes.

18 (Laughter.)

19 I'll quit while I am ahead.

20 (Laughter.)

21 Anyway, thank you.

22 And I'll turn it back over to our

1 Chair.

2 MR. DANNER: All right. Thank you
3 very much.

4 So, we'll get right into it this
5 afternoon.

6 I want to reiterate, I have been told
7 we're recording this, so that we have an
8 electronic record of this meeting. So, it's very
9 important that the members speak into the
10 microphones, not around them, so that all the
11 sounds will get picked up appropriately.

12 I also want to say I am pleased that
13 Commissioner Diane Burman from New York is going
14 to be joining us on the line this afternoon.

15 Commissioner Burman, are you there?

16 MS. BURMAN: Yes, I am. Thank you so
17 much.

18 MR. DANNER: All right. Welcome.

19 All right. With that, I will turn it
20 over to Alan for any remarks you want to make
21 before we hand it over to Steve.

22 MR. MAYBERRY: Actually, I just made

1 my remarks. So, I'll turn it back over to you,
2 Chairman.

3 (Laughter.)

4 MR. DANNER: We're making great
5 progress this afternoon.

6 (Laughter.)

7 All right. So, Mr. Nanney, take it
8 away.

9 MR. NANNEY: Well, right now, we're on
10 slide 38.

11 Hold on one second. I don't have a
12 control.

13 Okay. What I plan to do is I will be
14 going over from about slide 39 to slide 60. And
15 then, at that point, we'll take probably a quick
16 break or at least I'll take a break. And Chris
17 McLaren will be going through the slides probably
18 for the remainder of the day.

19 With that, I think we're now getting
20 to the point where probably most of you came to
21 hear and to be a part of. It's to talk about
22 integrity verification, and that would be what

1 would be mainly in new proposed code Section
2 192.624, but also with noted Sections 619(e),
3 which would be part of the MAOP portion of the
4 code, and 192.506, which is in the pressure
5 testing part, subpart (j).

6 And again, we'll be talking about the
7 mandates, the NTSB recommendation. We will be
8 referring back material documentation, as we said
9 we would be earlier, and, of course, MAOP
10 determination, which is the big portion of this.

11 Again, just to rehash the parts that
12 we had talked about -- I'm on slide 40. Again,
13 to rehash what was in the Pipeline Safety Act of
14 2011, again, it required operators to identify
15 pipe segments for which they do not have records
16 to substantiate MAOP for all gas transmission
17 steel pipe, Class 3/4, and all HCAs. And, also,
18 any exceedance of MAOP buildup allowed by
19 pressure-limiting device must be reported within
20 five days.

21 And then, the (c) part of that law was
22 determination of MAOP is to reconfirm MAOP for

1 pipe segments with insufficient records.

2 Also, there was a testing part, a part
3 (d) of that. We called it the testing
4 regulations. It requires conducting tests to
5 confirm the materials strength of previously-
6 untested natural gas transmission steel pipelines
7 in high-consequence areas and operating at a
8 pressure greater than 30-percent SMYS that were
9 not previously pressure tested. And tests can be
10 either by pressure testing or other alternative
11 methods, including inline inspections which are
12 determined by the Secretary to be equal or
13 greater effectiveness.

14 Also, PHMSA, from the PG&E, San Bruno,
15 incident, had some NTSB recommendations, which is
16 P-11-14: Delete the grandfather clause, and it
17 recommended all grandfathered pipe be pressure
18 tested, including a spike test. And this would
19 be pipe normally that would not have records on
20 material properties or a pressure test, and it
21 normally would be qualified based upon the five-
22 year operating pressure before the code came into

1 effect. And that's basically the five-year
2 period between 1965 and 1970.

3 Also from NTSB, we had a
4 recommendation on seam stability. And that
5 recommends that the pressure test be at least
6 1.25 times MAOP before treating the manufacturing
7 and construction defects as stable.

8 Then, the last recommendation that
9 PHMSA got from the PG&E incident was piggable
10 lines and to configure all lines to accommodate
11 smart pigs with priority on the older pipelines.

12 In doing this -- and I know many of
13 the probably folks in this room, but we know not
14 everyone probably has seen this -- but, back
15 before we went out with this proposed rulemaking,
16 I know we had several webinars and public
17 meetings, and everything. We went through what
18 PHMSA was considering here as being what we would
19 call the basic principles for IVP approach, based
20 upon what we had gotten from the congressional
21 mandate and from NTSB.

22 And IVP was based upon four principles

1 or four areas. One was for it to apply the high-
2 risk locations; in other words, HCAs, Class 3 and
3 4 locations, and moderate consequent areas.
4 Also, to screen the segments for categories of
5 concerns; in other words, where it was
6 grandfathered, where there were no records or bad
7 records, and where there had been a history of
8 failures based upon manufacturing and
9 construction defects. Also, it was to assure
10 that there was adequate documentation of
11 material; in other words, of the pipe.

12 And four is to perform assessments to
13 establish the MAOP where these records were
14 lacking.

15 What we plan to do, and what the
16 rulemaking has in there, is for these high-risk
17 locations, was it for it to apply the pipeline
18 segments with grandfathered pipe that was in
19 HCAs, Class 3 and 4 locations, and piggable MCA
20 lines that lacked material documentation and
21 pressure test records, and that has a history
22 attributable to manufacturing and construction

1 defects. And we estimate that there's probably
2 around 8,000 miles of gas transmission pipe that
3 meet this based upon the data that we have.

4 Again, just what I had stated earlier
5 is, we just put up these bullets so that
6 everybody would know what the grandfather clause,
7 which is 192.619(c), is. Basically, it's MAOP
8 pressure restrictions in 619(a) do not apply.
9 And 619(a) has four items listed. One of them is
10 based upon the Class location, the material
11 properties, in other words, the wall thickness,
12 grade, seam type. It's also based upon the
13 pressure test. It's also based upon prior
14 operations, and it's based upon is the pipe safe
15 or not; in other words, based upon excavations
16 and other things the operator has done that, in
17 their judgment, is it okay for that MAOP.

18 The segment must be in satisfactory
19 operating condition, and you may use the highest,
20 if you don't do it per 619(a), which you would
21 not be doing if you are under 619(c) -- again, as
22 I have stated earlier, you can use the actual

1 highest operating pressure between 1965 and 1970.
2 And then, if you had Class location changes, you
3 would still have to comply with 611 in the code,
4 192.611.

5 In looking at that, PHMSA went out for
6 an annual report for data to try to see if we
7 could understand how much pipe had these
8 incomplete records. And you can see, based upon
9 what we've stated earlier when we were talking
10 about 607, for incomplete records, from Class 1
11 to Class 4, there's about 4500 miles. As far as
12 the grandfather clause portion of it, in HCAs you
13 can see whether it's Class 1, 2, 3, or 4, it's
14 1664 miles, for a total of approximately 6200
15 miles.

16 And just for anyone here that's
17 listening that may not know what a Class 1, 2, 3,
18 or 4 location is, again, the definition of it is
19 it's dwellings along a one-mile link of pipe.
20 And this would be a sliding-type mile. It's
21 looking at 660 feet on either side of the
22 pipeline. And if it's 10 or fewer dwellings in

1 this one-mile stretch, they would be Class 1
2 pipe. If there's 11 up through 45 dwellings for
3 human occupancy, it would be Class 2. And Class
4 3 would be 46 or more dwellings or occupied
5 sites. And then, Class 4 would be buildings with
6 four or more stories are prevalent.

7 And you can see we put a few pictures
8 down to give you an idea of Class 1, 2, 3, and 4
9 locations, is what we've got. It's just to give
10 you an idea.

11 The one that's got Class 3, as you can
12 see, there's a school there, a playground, and
13 then, subdivision right by it. And it goes,
14 basically, the pipeline, in between all of them.
15 Based upon our definitions, that is a Class 3
16 area. And then, the Class 4 would be somewhere
17 like in a downtown area where you've got a lot of
18 multistory buildings.

19 Also, we looked at, again, just
20 looking at the incomplete records and
21 grandfathered pipe. What we were trying to do
22 here is get an idea about the size of the pipe,

1 the impact of the potential impact radius, and
2 also, looking at the 30-percent SMYS and greater,
3 or below 30-percent SMYS, just to get an idea of
4 some of the footages and everything.

5 If you look, if we look here at
6 greater than 8-inch and greater than or equal to
7 30-percent Specified Minimum Yield Strength, with
8 incomplete records, there's about 3200 miles;
9 operating under the grandfather clause without
10 some of the records, 1100 miles, for a total of
11 about 4400 miles. And you can see less than 8
12 inches or equal to or less than 8 inches, and
13 less than 30-percent SMYS, we've got about 1761
14 miles of both incomplete records and the
15 grandfather clause. When you add up all of
16 these, it's about 6200 miles here.

17 What we were trying to do as we go
18 through, and the way we constructed the rule,
19 meeting the mandates, we did give a distinction
20 between 8-inch and smaller diameter and a
21 potential impact radius of 150 feet, mainly
22 because we felt like that these were pipelines,

1 No. 1, that would have fewer dwellings around
2 them. As far as the capacity with them compared
3 to a 30-inch or 24, if there was an incident, the
4 impact would be a lot less.

5 We also looked at what type incidents
6 we were having on steel gas transmission
7 pipelines. And we looked at from 2010 through
8 November of this year. There's been 104 total
9 incidents where it was caused by a crack or a
10 material defect. Just to give you an idea, 68 of
11 those were constructed before 1971, 18 were
12 constructed after 1971, and 18, we didn't have
13 the year of construction reported. But, anyway,
14 we wanted to just give you an idea of it, as we
15 go through IVP, and based upon the mandates and
16 NTSB recommendations, of why we're looking at
17 manufacturing and construction and the cracking-
18 type defects as we go through this.

19 Also, the Principle No. 3 that we
20 looked at was to know and document the pipe
21 material. As you know, we've already reviewed
22 the material documentation in the previous

1 section. But, as we go through on IVP, on
2 sections that may need it to be invoked, we will
3 have those discussions as we go through.

4 If missing or inadequate validated
5 traceable material documentation in HCA or Class
6 3 location, the principle is to establish
7 material properties by an approved process.
8 Again, as we've talked about before, the code
9 approved process would be cut out and test pipe
10 samples, which we're recommending and which
11 everyone voted on earlier today in 607, was to
12 allow the non-destructive testing method. And
13 then, as far as valves, flanges, and fabrication,
14 to still verify them based upon the code stamp.
15 Also, note that in B31.8S, Section 4, Table 1,
16 that has required this type of information since
17 the inception of the Integrity Management Rule.

18 In Principle 4, it's methods to
19 establish MAOP. Again, as we've stated, we want
20 to allow the operator in the six methods that we
21 have proposed to select the best option to
22 establish the MAOP. The main options for doing

1 this is to pressure test and spike test, if
2 needed.

3 No. 2 would be a pressure reduction.
4 No. 3 would be Engineering Critical Assessment
5 using inline inspection. The operator always has
6 the option of replacing the pipe with new pipe.
7 And then, a 10-percent pressure reduction for
8 this 8-inch or smaller pipe that's operating at
9 the lesser PIR. And then, the last would be
10 other technology.

11 Just to give a few more details on
12 that, it's in 624(c) for MAOP determination on
13 the pressure test, it would need to be the
14 greater of either 1.25 or the Class location test
15 factor times the MAOP, spike test segments with
16 reportable in-service incident due to being
17 legacy pipe/construction cracks, things such as
18 that. And if it is a crack-like defect, estimate
19 the remaining life of the segment, if it needs to
20 have a future pressure test.

21 Also, Method 2 would be a pressure
22 reduction. Reduce the MAOP to the highest

1 operating pressure divided by the greater of 1.25
2 or the Class location test factor. From that,
3 estimate the remaining life, if it is a pipe that
4 has something such as crack defects that can be
5 anticipated to grow as the pipeline stays in
6 service.

7 Method 3 is the Engineering Critical
8 Assessment, ECA, analysis. And that would be
9 based upon running inline inspection. The MAOP
10 would be based upon the lowest predicted failure
11 pressure. And again, the segment-specific
12 technical and material documentation would be
13 needed, and you would need to analyze cracks,
14 metal loss, interacting defects remaining in the
15 pipe and determine the predicted failure pressure
16 of those. And the MAOP would be established at
17 the lowest of the predicted failure pressure
18 divided by the greater of 1.25 or the applicable
19 Class location factor.

20 Method 4, again, as I stated earlier,
21 would be pipe replacement.

22 Method 5 would be the low stress, in

1 other words, less than 30-percent SMYS, small
2 potential impact radius with a PIR of 150 feet or
3 less and a diameter of 8 inches or less. There,
4 we had proposed a 10-percent pressure reduction,
5 enhanced patrols, and leakage surveys.

6 Method 6 would be an alternative
7 approach, a 30-day notification to PHMSA.

8 Again, on all of these approaches, as
9 you all know, as we go through this, we would
10 expect to hear comments on anything that we would
11 need to adjust, based upon your thoughts on this.

12 To give you an idea on the 8-inch and
13 smaller pipe, some of the small, what I would
14 call Method 5, the pipe with low stress, small
15 potential impact, what we were looking at there
16 is, if you look at 150-foot impact -- and to give
17 you an idea of what the potential impact radius
18 is, and what the pipe would have to operate at,
19 if it was an 8-inch pipeline, it would have to
20 operate up to about 730 pounds to have 150-foot
21 impact. If it was a 6-inch MAOP pipeline, it
22 would be 1300 pounds, and if it was a 4-inch, it

1 would be 2900.

2 My point is, there may be a few 8-inch
3 lines that may operate at 300 or 400 pounds, but
4 I think there would be very, very few at 730.
5 And I know the 6-inch or 4-inch at the 1300 and
6 2900, that would be very unlikely in what we're
7 talking about here.

8 So, I just wanted to give you an idea,
9 to have an impact of 150 feet, that would be the
10 type pressures that these pipelines would have to
11 operate at. That's what we wrote up Method 5
12 like we did, was to give some outs. So, we felt
13 like that the mandates that we had gave the
14 Secretary or gave PHMSA the obligation of looking
15 to put in frames in here where we looked at that.
16 Let's just a 4-inch or 6-inch, it's probably
17 going to have very little impact if you had a
18 leak or a rupture, where if it was a 20 or 24 or
19 30 operating at the same, it's going to be
20 multiple times more.

21 And so, on this, as we go through,
22 like on Method 5, is a 10-percent pressure

1 reduction, do you think we've got it right there?
2 What should we be looking at? Doing additional
3 ground surveys, things like that? That's all
4 that we're expecting to comments on as we go
5 through.

6 Also, in looking at compliance
7 deadlines, I know that was one thing we were
8 talking about earlier today. On 624 and in
9 624(b), the plan development is the first year.
10 And then, 50 percent of the mileage would be at
11 the end of year eight, and then, 100 percent of
12 the mileage at year 15.

13 Also, in looking at the requirements
14 in the recommendations we had from NTSB, we put
15 in a fracture mechanics modeling for failure
16 stress and for cyclic fatigue crack growth. In
17 other words, if you've got cracking in your pipe,
18 what do you need to do to make sure that your
19 pressure test, or what you're doing with ECA or
20 some of the other methods, that you're looking at
21 over the life.

22 I know in a lot of cases on gas

1 pipelines you may not have the cyclic issues that
2 you have on a liquid line. But the thing is, one
3 of the things here I would hope we would be
4 talking about is, should we go, like we've got in
5 the proposed regulation, to look at that and make
6 sure we do not have that issue? In other words,
7 should this stay as a requirement? PHMSA put it
8 in. We think it should, even if it's not
9 applicable for all pipelines.

10 Again, some of the points there are it
11 would be for pipe that's susceptible to cracks
12 and crack-like defects. But you would need to
13 run a fatigue analysis. You would analyze the
14 micro-structure based upon would you expect it to
15 be ductile, brittle, or what type fracture; the
16 location; the type of defect, and your operating
17 conditions. And then, you would need a second
18 reevaluation before 50 percent of the remaining
19 life has expired, but within seven years. And
20 then, the results would need to be confirmed by a
21 subject matter expert.

22 Also, another item that we had in here

1 is spike test, which would be in 192.506. Again,
2 that would apply to pipelines that are required
3 to be assessed that have a hoop stress of equal
4 to or greater than 30-percent SMYS and have
5 integrity threats that cannot be addressed by
6 ILI, or their MAOP established in accordance with
7 Method 1.

8 Again, for the spike test, the thing
9 that we had proposed within the rule was either a
10 test up to 105 percent of SMYS or one-and-a-half
11 times the MAOP. Also, a spike duration of 30
12 minutes. I know if you go and look at various
13 literature, various research, you can see
14 proposals on the spike test anywhere from 10
15 minutes to an hour, and everything. Total test
16 duration, which would be a subpart-(j)-type test,
17 would be eight hours.

18 As far as the proposal, we had in at
19 the 105-percent SMYS. Again, it was based upon a
20 research program that we had that was done by
21 Battelle with input from Kiefner and DNV and
22 their databases. And we had proposed 105-percent

1 SMYS simply, in looking at these failures, where
2 you needed to be as far as a failure pressure
3 ratio for cold welds, stitched welds, selective
4 seam corrosion, and hook cracks in the ERW-type
5 pipe.

6 Now whether that should be 100-percent
7 SMYS or 105 or 1.39 times MAOP, which is for
8 Class 1 pipe 100-percent SMYS, PHMSA is opening
9 to listening to everyone's comments there, and
10 going back and taking a look at that, because
11 we've looked at it a lot since the notice.

12 With that, we will, then, go to
13 Section 503, and I'm going to turn it over to
14 Chris because I'm getting hoarse a little bit.

15 MR. McLAREN: Thank you, Steve.

16 Sounds like we ran that horse as far as we could.

17 (Laughter.)

18 And for the next 50 or so slides,
19 we're going to discuss the NPRM comments and some
20 of our discussion of them. And then, at the end
21 of that 52 slides or so, we'll have some of the
22 topics proposed by PHMSA for consideration by the

1 Committee.

2 So, we've got quite a long run to do
3 here, and I appreciate that the slide deck went
4 out to the Committee early, so everybody could
5 prepare for it.

6 One of the comments regarding 192.503
7 proposed that it includes a cross-reference to
8 proposed 624. Because proposed 624 is limited in
9 applicability, a cross-reference to that section
10 in a portion of the regulation with broader
11 applicability without a corresponding limitation
12 consistent with the applicability of 624 is
13 inappropriate. And the commenter recommended
14 removal of the cross-reference to 624 in 192.503
15 or reword to stress that 624 applies only if
16 applicable. And PHMSA concurs and proposes to
17 withdraw their proposed revision to
18 192.503(a)(1).

19 The next comments are about the scope
20 and applicability specifically with 619(e) and
21 624(a) applicability. With regard to the changes
22 proposed to 619(e)(5), the terms for small

1 potential impact radius, PIR, and diameter should
2 be defined. PHMSA commented that the criteria
3 specified in 624, Method 5 applies to lines less
4 than 8 inches diameter and less than 150 feet
5 potential impact radius and less than 30-percent
6 SMYS, and which cannot be assessed using inline
7 inspection or pressure tests.

8 The next comment is that PHMSA is
9 proposing a new paragraph, 619(e), that, as
10 written, would invalidate the rules of (a)
11 through (d) of 619. One hopes that this was a
12 clerical error on PHMSA's part, and PHMSA should
13 consider changing the wording of the proposed
14 paragraph (e) to not exclude or invalidate
15 paragraphs (a)(1) and (a)(2).

16 PHMSA believes the proposed rule is
17 correct as written and does not exclude or
18 invalidate (a)(1) or (a)(2), since 192.624 only
19 applies in limited cases where operators don't
20 comply with 192.619(a) through (d), or else the
21 pipe is grandfathered in a Class 1 and 2 HCA or
22 located in a Class 3 or 4 location. An operator

1 that established MAOP in accordance with 619(a)
2 would not have to reestablish the MAOP unless the
3 criteria in 196.624 is met.

4 The next comment is that the interplay
5 between the MAOP determination in 619 and 624 is
6 not clear as presently proposed. The concern is
7 uncertainty that compliance with 624 would not be
8 viewed as compliance with the requirements of
9 619, and that the industry should add a section
10 to 619 that indicates compliance with the
11 requirements of 624 to verify a pipeline's
12 segment's MAOP satisfies the requirements of
13 192.619 to establish the MAOP of the pipeline
14 segment.

15 PHMSA's response is that compliance
16 with 192.624, when required, complies with
17 192.619. PHMSA proposes to add a new paragraph,
18 619(e), to provide this clarification.

19 The next comment is that PHMSA should
20 recognize in the regulation that existing
21 pipeline segments with traceable, verifiable, and
22 complete pressure test records necessary to

1 establish an MAOP for subpart (j) do have a valid
2 MAOP through 619(a)(2) and using material records
3 to verify MAOP through 619(a)(1) is duplicative
4 and unnecessary for pipeline safety.

5 PHMSA's response is that 619(a)(1) and
6 (a)(2) are not duplicative. MAOP is the lowest
7 of 619(a)(1), (2), (3), and (4). The operator
8 must know all four and have records for all four
9 to demonstrate MAOP in accordance
10 with 192.619(a).

11 The next comment is that PHMSA should
12 clarify the distinction between MAOP
13 determination and MAOP verification. This
14 clarification should confirm the fact that MAOP
15 verification, like MAOP determination, is a one-
16 time requirement for specifically-defined
17 transmission pipelines and that only one method
18 is required to verify the MAOP.

19 PHMSA's response is that this is the
20 intent, and PHMSA will clarify in the preamble to
21 the final rule that both are a one-time process
22 to establish the MAOP.

1 The next comment is that 619(a)(2) is
2 based on the most recent pressure test or the
3 historical highest pressure test. PHMSA responds
4 that it depends. A pressure test may be used to
5 establish MAOP if the test pressure divided by
6 the applicable Class location test factor is the
7 lowest of all four of the 619(a)(1), (2), (3),
8 and (4). Operators must know all four in order
9 to establish the MAOP which is the lowest of the
10 four. Note that (a)(4) requires operators to
11 consider history of the segment, including known
12 corrosion.

13 The next comment is that 619(a)
14 applies to establishing maximum allowable
15 operating pressure for all pipelines, and revise
16 the proposed (a)(4) to state clearly that
17 material verification is applicable only to
18 transmission pipeline segments that are subject
19 to 192.607 and include an implementation date to
20 clarify the proposed requirements apply going
21 forward, and any previous test, subpart (j),
22 sufficiently validates the MAOP.

1 PHMSA supports clarifying this by
2 adding "if applicable" after the reference to
3 192.607 in the Section 192.619(a)(4).
4 Implementation date is specified in 192.624, and
5 operators that are required to verify the MAOP in
6 accordance with 624 have 15 years from the
7 effective date of the rule, as described in
8 624(b)(3).

9 Commenter recommended that 619(e) be
10 removed entirely from the regulations.
11 Alternately, the language of the proposed 619(e)
12 should be revised to simply direct operators of
13 onshore steel transmission pipelines that meet
14 the criteria of 192.624(a) to that section for
15 verification of the MAOP.

16 PHMSA supports revising 619(e) to read
17 as follows: "Notwithstanding the requirements of
18 paragraph (a) through (d) of this section,
19 onshore steel transmission pipelines that meet
20 the criteria specified in 192.624(a) must
21 establish and document the maximum allowable
22 operating pressure in accordance with 192.624."

1 If anybody would like me to go back a
2 slide at anytime, please give me a note as we
3 read through them. Otherwise, we will keep
4 pressing forward. I'm happy to go back, though.

5 The next commenter suggested that
6 PHMSA revise 192.619(e) to be more conservative
7 for those pipelines that have had a reportable
8 in-service incident since its most recent subpart
9 (j) pressure test due to an original
10 manufacturing or construction-related defect.

11 PHMSA's response is that this is one
12 of the criteria in 192.624.

13 A commenter was concerned that the
14 proposed 624 goes significantly beyond the
15 congressional mandate contained in the 2011 Act,
16 driving significant additional costs that have
17 diminishing pipeline safety benefit.

18 PHMSA's response is that, in addition
19 to the Act of 2011, Section 23, which addresses
20 grandfathered pipe in HCAs as well as Class 3 and
21 4 locations, and pipe without MAOP records, PHMSA
22 is addressing numerous other NTSB recommendations

1 and pipeline safety issues, such as was discussed
2 previously by Steve in this section. The entire
3 estimated mileage to which IVP would apply is
4 approximately 5 percent of the gas transmission
5 mileage, based on our PHMSA estimates.

6 A commenter provided that the
7 inclusion of every reportable in-service incident
8 and the requirements for verification of MAOP is
9 overly broad and should be removed from the final
10 rule, or at least limited to a more contemporary
11 timeframe, such as a rolling 15-year window, or
12 to those incidents occurring since 2003.

13 PHMSA's response is that every
14 incident is not included. The proposed rule
15 limits the incidents to certain causes,
16 manufacturing, construction, installation, or
17 fabrication-related defects, and cracking-related
18 defects, and only for segments in HCAs and Class
19 3 and 4 locations that have occurred since the
20 most recent successful pressure test. This is a
21 subset of all reportable incidents.

22 Another commenter suggested that

1 624(a)(1) be revised to apply only prospectively
2 and not retroactively.

3 PHMSA's response is that the intent of
4 the rule and the congressional mandate is to
5 address preexisting pipe without adequate basis
6 for MAOP and grandfathered pipe.

7 Another commenter said that the 2011
8 Act does not require MAOP reconfirmation for
9 MCAs. PHMSA should modify 624(a) so that the
10 MAOP reconfirmation is only required in moderate
11 consequence areas that operate at greater than 30
12 percent of SMYS and can accommodate an
13 instrumented inline inspection tool.

14 PHMSA's response is that the
15 congressional mandate does not allow exceptions
16 to avoid MAOP reconfirmation. All applicable
17 pipe and HCAs and all non-HCA Class 3 and 4
18 locations, regardless of MCA location or
19 piggability, must have an MAOP verification.
20 Line segments less than 30-percent SMYS were not
21 excluded to support addressing NTSB
22 recommendations P-11-14 and 15, as described

1 previously in this section, for those lines that
2 are included in the scope of 624(a).

3 Commenter urged PHMSA to make
4 modifications that allow the ECA, or Engineering
5 Critical Assessment, ILI, and other alternative
6 technologies, to be feasible alternatives to
7 reconfirm MAOP for moderate consequence areas.
8 Without these modifications, operators will have
9 to reconfirm MAOP solely by hydrostatic pressure
10 testing.

11 PHMSA's response is that only segments
12 meeting the applicability criteria must reconfirm
13 MAOP. Operators may choose any of the six
14 allowed methods to reconfirm the MAOP. This
15 includes the use of alternative technologies,
16 Method 6, with notification to PHMSA.

17 Commenter recommended that PHMSA
18 remove the applicability in 624(a)(1) and address
19 this concern through 917(e)(3) and 192.1119,
20 proposing a new subpart Q. This would provide
21 clarity for pipelines that have had a reportable
22 in-service incident due to manufacturing and

1 construction-related defects, both in the past
2 and in the future.

3 PHMSA's response is that 192.917
4 applies to HCAs and would not be responsive to
5 NTSB's recommendation P-11-15, which recommended
6 that PHMSA amend regulations to require that
7 manufacturing and construction-related defects
8 can only be considered stable if a gas pipeline
9 has been subject to a post-construction
10 hydrostatic pressure test.

11 192.917 is not an applicable method
12 for establishing MAOP, and 917(e)(3) establishes
13 criteria for determining if seam defects were
14 stable under integrity management.

15 192.917(e)(3), PHMSA proposed to allow
16 tests conducted under 624 for establishing MAOP
17 to be credited for the same stability
18 determination under 917(e)(3).

19 Commenter said that PHMSA should
20 remove pipeline segments that have experienced a
21 reportable in-service incident from its proposed
22 MAOP confirmation requirements under 624(a)(1).

1 After an in-service failure, a pipeline operator
2 is required to perform corrective actions and
3 sufficiently demonstrate a restored level of
4 safety before being allowed to return to service
5 and/or to full pressure.

6 PHMSA's response is that such an
7 approach may not address the fact that the
8 incident suggests that the MAOP may be too high
9 for the entire pipeline. Confirming MAOP at the
10 incident location after an incident is too late.
11 The purpose of 192.624 is to proactively
12 establish valid MAOP for the entire pipeline to
13 avoid future accidents.

14 All right. And we'll now move on to
15 the comments related to 624(b) or that schedule
16 for completion.

17 A commenter was concerned with
18 implementation timeframes following the effective
19 date of the rule. The proposed timeframes for
20 MAOP verification of 8 and 15 years are not
21 feasible when considering the coordination of
22 resources necessary to replace pipelines.

1 PHMSA believes 15 years is adequate.
2 Longer than 15 years belies the urgency and
3 seriousness of the situation for which Congress,
4 NTSB, and GAO have all advocated for change.

5 A commenter said that, in addition to
6 the completion dates required by 624(b), PHMSA
7 should consider a requirement for operators to
8 prioritize the actions required by this rule and
9 on a basis which requires the operators address
10 the highest-risk segments first.

11 PHMSA believes that such
12 prioritization is unnecessary because 624 would
13 only apply to a relatively small amount of
14 pipeline.

15 A commenter said that the proposed
16 MAOP verification for 192.624 does not address
17 how the completion plan and completion dates
18 required by 624(b) would apply to pipelines that
19 experience a future failure and are not subject
20 to the proposed 624(a)(1) or for pipelines that
21 are not currently located in an MCA but may be in
22 the future.

1 PHMSA agrees that this is a valid
2 point and supports revising the proposed rule to
3 address this scenario. 192.624 does not apply to
4 MCA pipelines that are not piggable.

5 Now moving on to the methodologies for
6 verifying the MAOP, a commenter recommended that
7 clarification be provided in regards to the six
8 methods that are listed to establish a pipeline's
9 MAOP. If one of the six methods is chosen, the
10 operator should have a valid MAOP, and an
11 operator should not also have to pressure test.

12 PHMSA's response is that the proposed
13 rule clearly states that the operators may choose
14 any of the six methods to establish MAOP.

15 A commenter voiced concerns regarding
16 the efforts to combine varying aspects of MAOP
17 testing with the expansion of the Natural Gas
18 Transmission Integrity Management Program. These
19 two processes have completely separate
20 objectives, and integration into a single process
21 may create unnecessary confusion and complexity.

22 PHMSA's comment is that we are not

1 expanding applicability. PHMSA intends the MAOP
2 testing to be a separate process. PHMSA also
3 intends that an operator has to perform testing
4 to verify MAOP, that if an operator has to
5 perform that under 624, that such assessments
6 could also or should also serve as an integrity
7 assessment under IM for HCA segments or under
8 192.710 for non-HCA segments.

9 Specifically now going into the
10 methods, a Method 1 commenter said that a spike
11 test is not required to establish an adequate
12 margin of safety for MAOP reconfirmation, and
13 PHMSA should eliminate the spike testing from
14 624(c)(1)(ii).

15 PHMSA's response is that spike testing
16 is suitable for cases where pipe has stress
17 corrosion cracking or other crack-like defects,
18 to address critical and near-critical flaws that
19 a standard pressure test does not address.

20 A commenter also said that 624(c)(1)
21 should refer to subpart (j) rather than 505(c),
22 and PHMSA agrees with this comment and would

1 support incorporation of this correction.

2 A commenter said that clarify if
3 paragraph 624(c)(1)(iii) is intended to capture
4 fatigue analysis and pressure test pipelines
5 outside of HCAs, MCAs, or Class 3 or 4 pipe.

6 PHMSA responds that the requirements
7 in 192.624 only apply to pipelines that meet the
8 applicability criteria in 624(a).

9 A commenter said that a pressure test
10 would traceable, verifiable, and complete
11 documentation should be regarded as a valid and
12 compelling test, regardless of when it was
13 conducted. The test parameters, not the test
14 date, should be considered for the establishment
15 of MAOP.

16 PHMSA agrees except in cases where the
17 pipe has experienced an incident due to cracking
18 or seam issues since the date of the pressure
19 test. Such failures indicate the
20 inappropriateness of relying on historical
21 pressure tests in those cases. This is
22 consistent with the existing IM requirements in

1 917(e)(4) which requires an integrity assessment
2 for seam threats if the segment has experienced a
3 failure in the preceding five years.

4 Looking at Method 2, pressure
5 reduction, a commenter recommended that
6 192.624(c)(2) be revised to calculate the MAOP
7 based on the existing MAOP, not the 18-month
8 operating pressure, unless an incident has
9 occurred on the pipeline since its last subpart
10 (j) pressure test caused by a material-related
11 defect or construction-related defect, the
12 cracking.

13 PHMSA's response is that 192.624(c)(2)
14 is based on usage of operating pressure to which
15 the pipeline segment is exposed as a de facto
16 pressure test or confirmation. Pipelines that
17 have not operated at MAOP have not actually been
18 subject to MAOP pressures; thus, have not
19 demonstrated strength at those levels. Operators
20 may submit a notification under 192.624(e) if it
21 desires to establish MAOP via pressure reduction
22 using different criteria than provided in Method

1 2.

2 On Method 2, a commenter said that
3 PHMSA proposes that operators search their
4 operating records for the highest actual
5 sustained pressure reached for eight hours during
6 a continuous 30-day history. There should be no
7 limitation on when this pressure was achieved,
8 whether 18 months or 20 years. The pipeline has
9 proven to safely operate at these pressures for
10 many years.

11 PHMSA would support changing the look-
12 back period from 18 months to five years. Five
13 years is consistent with the look-back period
14 previously used for grandfathered pipe in
15 192.619(c).

16 Again on Method 2, a commenter said
17 that operators who have already reduced MAOP on
18 pipeline segments in an effort to be proactive
19 should not penalized by having to take further
20 unnecessary reductions in MAOP.

21 And PHMSA would support, again,
22 increasing that look-back period to five years.

1 A commenter provided that, for
2 624(c)(2), that it clarify that the pressure
3 reductions taken from the immediate past 18
4 months or five years from the time the pressure
5 reduction is contemplated, may actually be
6 several years after the rule's effective date.
7 Tying the baseline pressure to the effective date
8 of the rule is completely arbitrary when
9 evaluating the merits of these actions on
10 pipeline safety.

11 PHMSA would support a revision to
12 clarify this requirement. Operators could also
13 use five-year look-back from the period when the
14 pressure reduction is contemplated as long as the
15 pressure does not exceed the maximum allowable
16 operating pressure during the five-year period
17 before the effective date of the rule.

18 Still on Method 2, pressure reduction,
19 a commenter recommended limiting the requirements
20 of 624(c)(2) to those pipelines operating 30-
21 percent SMYS or greater.

22 PHMSA believes it's inappropriate to

1 include lines less than 30-percent SMYS -- that
2 it's appropriate to include, sorry, less than 30-
3 percent SMYS to address the intent of the NTSB
4 recommendations and because ruptures have
5 occurred in such lines at below 30-percent SMYS.
6 However, note that pipelines operating below 30-
7 percent SMYS may take a lesser pressure
8 reduction, or Method 5, if certain other
9 conditions are met.

10 Moving on to Method 3, the Engineering
11 Criticality Assessment, PHMSA should allow
12 operators to perform ILI to reconfirm MAOP.

13 And PHMSA's response is that the use
14 of ILI in conjunction with ECA is allowed in 624.
15 However, ILI alone is not considered equivalent
16 to a pressure test and would not meet the
17 equivalence requirements in the congressional
18 mandate. ECA is required to substantiate that
19 the condition of the pipe, as determined by the
20 inline inspection, is sufficient to safely
21 operate at the maximum allowable operating
22 pressure.

1 A commenter stated that operators have
2 long relied on sound engineering judgment and
3 conservative assumptions to account for record
4 gaps. If stripped of the ability to use sound
5 engineering judgment and conservative
6 assumptions, it would require substantial
7 investment in process, procedures, testing, and
8 project engineering and support to develop and
9 implement a comprehensive material documentation
10 plan, as outlined in the proposed regulations.

11 And PHMSA appreciates this comment.
12 However, the accident at San Bruno, the PG&E
13 incident at San Bruno illustrated that this
14 practice is not always effectual or consistently
15 applied, and this rulemaking provides more
16 definite standards for addressing gaps in
17 records.

18 Still discussing the ECA, a commenter
19 requests clarification on the utilization of
20 Grade A pipe with a SMYS of 30 ksi in
21 624(c)(3)(i)(C) if the SMYS or actual material
22 yield and ultimate tensile strength is not known

1 or not adequately documented by traceable,
2 verifiable, and complete records, versus the use
3 of 24 ksi for unknown SMYS, as noted in
4 192.107(b)(2).

5 PHMSA's response is that in the IVP
6 process operators may assume Grade A, 30 ksi or
7 lower if pipe grade is unknown for the purposes
8 of establishing MAOP. Please note that operators
9 may not uprate pipe by assuming Grade A in cases
10 where the pipe is currently assumed to be 24 ksi,
11 per calculations in 192.107.

12 Commenter suggested regarding the ECA
13 in 624(c)(3)(i)(B) that the ECA analysis
14 prescribes a body toughness of 5-foot-pounds and
15 seam toughness of 1-foot-pounds, and that these
16 values are arbitrary and very conservative when
17 foot-pound is below any toughness possible in a
18 low-alloy carbon steel.

19 Vintage pipelines will not have Charpy
20 v-notch data, and requiring an overly-
21 conservative assumption of toughness is not
22 reasonable. Toughness can vary depending on

1 manufacturer, the method, and vintage, and should
2 not be prescribed in the code. Use of
3 conservative defaults, especially the overly-
4 conservative default values in PHMSA's proposed
5 rule may result in an acceptably-short remaining
6 life for critical and subcritical flaws -- or
7 subcritical flaws.

8 PHMSA responds that, based on
9 research, the values proposed represent a 95-
10 percent confidence level that results will be
11 conservative. PHMSA believes that this is an
12 appropriate safety goal, and PHMSA will consider
13 modifying the rule to allow other appropriate
14 technologies or technical publications that an
15 operator demonstrates can provide conservative
16 Charpy energy values of the crack-related
17 condition in the line pipe body and seam as
18 appropriate.

19 Commenter described that the fracture
20 mechanics discussed in 624(c) is an integral
21 piece in addressing the threat of cracks and
22 crack-like defects within integrity management.

1 Fracture mechanics should not be included
2 anywhere under 192.624.

3 PHMSA believes that the ECA with
4 fracture mechanics analysis is important to IVP
5 and the cracking issues, and should be applied to
6 all pipelines that have an MAOP verified under
7 192.624, which includes selected non-HCA
8 segments. IMP only applies to high-consequence
9 areas. Fracture mechanics analysis is an
10 essential part of ECA in order to establish if
11 the crack defects found in the pipe from the ILI
12 will withstand operation at MAOP, and is required
13 to validate that the ECA method is of equal or
14 greater effectiveness to a pressure test.

15 Again on the ECA, Method 3, a
16 commenter requests removal of paragraph 624(c)(3)
17 and (d).

18 The response is that ECA using
19 fracture mechanics is an important option for
20 verifying MAOP and this standard addresses the
21 congressional mandate 49 USC 601.39(d)(2)(B).

22 Commenter encouraged PHMSA to

1 significantly revise the ECA method and, instead,
2 provide for an inline inspection MAOP
3 verification method. There needs to be a pure
4 inline inspection solution within the methods for
5 MAOP verification.

6 PHMSA's response is that ILI alone
7 without an ECA is not sufficient to verify MAOP
8 in a way that conforms to the congressional
9 mandate, previously stated in the previous slide,
10 to be of equal or greater effectiveness as a
11 pressure test. ECA utilizes the ILI results in
12 conjunction with other data and fracture
13 mechanics analysis to assure that the MAOP
14 verified under the Engineering Critical
15 Assessment is as equally effective as a pressure
16 test.

17 One of the last ones on Method 3, the
18 ECA. In cases where a pipeline has been pressure
19 tested, but not to a level of 1.25 MAOP, PHMSA
20 should not require the retest but, instead, allow
21 for the original test, for example, a 1.1 time to
22 MAOP, to be augmented with other ECA analysis

1 such as what PHMSA proposed under Method 3 for
2 reconfirming the MAOP under the proposed
3 624(c)(3).

4 PHMSA's comment is the 624(c)(3) as
5 proposed by PHMSA would allow such an approach.

6 Regarding Method 6, other technology,
7 the commenter encouraged PHMSA to adopt a process
8 under which a no objection letter is deemed
9 issued after 60 days.

10 PHMSA's response is that the
11 notification process in the proposed rule is the
12 same as the current integrity management
13 notification process, which has worked for over
14 12 years or more of IM, integrity management,
15 without a problem. However, PHMSA would support
16 changing the notification timeframe from 180 days
17 to 90 days to assure timely review by PHMSA.

18 We've already discussed, continue to
19 discuss that point, and have taken in some of the
20 Committee's comments, and look forward to more on
21 it.

22 (Laughter.)

1 Okay. Now moving on to 624(d),
2 fracture mechanics, some of the specific comments
3 related to it.

4 One of the mitigation methods listed
5 under 624(d), fracture mechanics, is to perform a
6 subpart (j) pressure test, item 5, which would
7 have already been performed under 192.624(c).
8 This creates an endless loop of pressure testing
9 and fracture mechanics. The commenter suggests
10 PHMSA remove the requirement for fracture
11 mechanics under 624(c)(1)(iii), (c)(2)(ii), and
12 (c)(5)(vii), and note these exclusions under the
13 fracture mechanics section in 624(d).

14 PHMSA's comment is that fracture
15 mechanics addresses crack growth that could grow
16 over time such that the MAOP is compromised over
17 time. In some cases, repressure testing might be
18 required to demonstrate continued safety and
19 validity of the MAOP before the next Integrity
20 Management Assessment interval.

21 A commenter stated that it's unclear
22 why fracture mechanics analysis, remaining life

1 calculations, and retest or reinspection interval
2 determinations are included in the proposal for
3 MAOP verification. Section 23 of the 2011 Act
4 required PHMSA, in developing the regulations,
5 that the Secretary shall consider testing
6 methodologies, including, at a minimum, (a)
7 pressure testing; (b) alternative methods,
8 including inline inspection determined by the
9 Secretary to be of equal or greater
10 effectiveness. Establishing MAOP by ECA is based
11 on analysis of remaining cracks after ILI repairs
12 or previous pressure testing.

13 Fracture mechanics analysis of these
14 latent defects provides the basis for determining
15 the flaws remaining in the pipe would have passed
16 the pressure test, had a pressure test been
17 conducted. It also establishes the basis for
18 monitoring the potential for crack growth.

19 Comments related to 192.624(e),
20 notifications. Require notice to PHMSA rather
21 than a no objection letter from PHMSA, was one
22 commenter's response.

1 PHMSA again states that the no
2 objection letter has been effectively implemented
3 in integrity management notifications for many
4 years.

5 Comments related to 624(f), records.
6 One commenter said that the requirements to
7 retain records as well as the quality of the
8 records must only be applied prospectively.

9 PHMSA responds that 192.624(f) only
10 applies to records needed in order to document
11 compliance with 624. 624(f) is not a retroactive
12 records requirement for activities that are not
13 used to comply with 192.624.

14 In light of those comments,
15 specifically all the comments that we reviewed
16 and those that we noted here representative of a
17 body of comments and/or of importance
18 singularity, and our responses to them, we
19 suggest that the Committee consider these topic
20 areas in the next three slides:

21 Revise proposed 192.624 as indicated
22 in the PHMSA response to public comments:

1 One, to withdraw the proposed revision
2 to 503(a)(1).

3 A second is to shorten and clarify
4 192.619(e) to remove text that duplicates
5 requirements with 624 to read, "Notwithstanding
6 the requirements in paragraphs (a) through (d) of
7 this section, onshore steel transmission
8 pipelines that meet the criteria specified in
9 624(a) must establish and document the maximum
10 allowable operating pressure in accordance with
11 192.624."

12 Also, revise 192.264(b) to address how
13 the completion plan and completion dates required
14 in 192.264(b) would apply to pipelines that
15 experience the future failure and are now subject
16 to the proposed 624(a)(1) or for pipelines that
17 are not currently located in an MCA but may be in
18 the future.

19 Clarifying that 192.607 does not
20 necessarily apply to all segments when
21 determining MAOP by adding "if applicable" after
22 the reference to 607 in 192.617(a)(4).

1 Revise 192.624(c)(1) to refer to
2 subpart (j) rather than 192.505(c).

3 Change the look-back period for
4 Methods 2 and 5, pressure reduction, from 18
5 months to five years.

6 And change the notification timeframe
7 from 180 days to 90 days to assure timely review
8 by PHMSA.

9 Thank you, Mr. Chairman, for that time
10 to go over those.

11 MR. DANNER: Well, thank you. You've
12 covered a lot of ground here.

13 Are we turning now to public comment?
14 Additional public comment? John?

15 MR. GALE: Yes, Chairman Danner. Just
16 a recommendation for the Committee to consider.
17 You know, this is a lot of material in this
18 section to cover. So, what we have up on the
19 screen here is just a way of kind of breaking
20 apart the different discussion points. We don't
21 want to have a discussion where we're jumping
22 from Method 5 to the applicability, et cetera.

1 So, maybe if we had a discussion both with the
2 public and the members, broken out by
3 applicability and, then, a discussion through the
4 separate methods, that might be a way of moving
5 forward.

6 Within the methods, you could just go
7 down Method 1 through 6, or if you want to take
8 on some of the easier methods first, and then,
9 move on to the tougher ones, that's also an
10 option. For example, you could discuss pipe
11 replacement and alternative technology early on
12 and move past those and give more time to things
13 like pressure-tested ECA, for example. But this
14 is just an option for the Committee to consider.

15 MR. DANNER: So, then, what you're
16 suggesting, then, is that we would deal with
17 applicability first, take public comments on
18 that, then go to methods, take public comments on
19 that?

20 MR. GALE: I would recommend taking
21 public comments in an area, then have the
22 Committee discussion, and then, move on to the

1 next topic area, sir.

2 MR. DANNER: All right. So, again,
3 what you're saying is let's take public comment
4 on applicability?

5 MR. GALE: Yes.

6 MR. DANNER: And then, we'll have a
7 conversation about applicability?

8 MR. GALE: Exactly.

9 MR. DANNER: And then, we will take
10 public comment on methods?

11 MR. GALE: Yes.

12 MR. DANNER: All right. Unless there
13 are other suggestions, okay, let's do that.

14 Are there any public comments on No.
15 1, applicability?

16 Please go to the microphone in the
17 aisle. Go ahead, sir.

18 MR. MOIDEL: Good afternoon.

19 Brian Moidel with Dominion Energy
20 Ohio.

21 Dominion Energy Ohio supports the
22 comments filed by industry regarding

1 establishment of MAOP and agrees that it is
2 critical to have a sound engineering basis to
3 establish MAOP to ensure safe operation of its
4 pipeline system.

5 In addition, I would like to concur
6 with the statements made today from all previous
7 industry speakers. We are committed to
8 reconfirming MAOP and transmission pipelines that
9 have not been tested to subpart (j) pressure
10 tests in HCAs and Class 3 and 4 locations. We
11 believe that pipelines with test records
12 supporting at least a 1.25 MAOP pressure test,
13 regardless of date, have a valid MAOP and that
14 additional documentation or testing is not
15 necessary. Furthermore, PHMSA clarify that
16 compliance with any of the six methods to
17 reconfirm MAOP satisfies the requirement for a
18 TVC pressure test record.

19 If material data is needed to support
20 integrity management requirements, operators will
21 obtain that data specific to the task at hand.
22 Many of our pipelines were installed prior to

1 1970, when the DOT code came into existence, and
2 there were material recordkeeping requirements
3 or, for that matter, MAOP records required at
4 that time, other than the pipeline's highest
5 actual operating pressure between 1965 and 1970.
6 We at Dominion Energy Ohio are currently testing
7 materials on pipelines taken out of service where
8 we have missing and/or unknown records.

9 Lastly, we don't believe there's
10 justification that the intended benefits of
11 expanding the MAOP material verification would
12 justify the costs. If PHMSA establishes this
13 requirement as part of the MAOP verification
14 process, we believe there will be many pressure-
15 tested transmission pipelines across the country
16 lacking sufficient material property records.

17 Thank you.

18 MR. DANNER: All right. Thank you
19 very much.

20 MR. ACUNA: Alberto Acuna, Consumers
21 Energy in Michigan.

22 I'm not sure who's running the slide

1 deck, but if we could go back to slide 68? And
2 if at all possible, could we have on the other
3 screen 192.619(a)(3)? That would keep me from
4 having to read it. 192.619(a)(3).

5 So, while that is coming up, I'll
6 speak to the slide that's up.

7 My concern is with that last
8 paragraph, "Operators must know all four in order
9 to establish MAOP." When we see the current code
10 come up, you'll see that there is what I believe
11 to be an exception.

12 Is it going to be coming up? All
13 right. Yes, that's it. Just a little bit back
14 up.

15 The second sentence in (a)(3) there,
16 "The pressure restriction applies unless the
17 segment was tested according to the requirements
18 in paragraph (a)(2)." Well, I can tell you, as
19 the Program Manager for our Verification Program,
20 back in 1970, or maybe even before, we, as a
21 company, understood that we didn't want to have
22 to limit our MAOP to our highest operating

1 pressure. The highest operating pressure is
2 rarely as high as the MAOP that we established
3 through (a)(1) or through our post-construction
4 pressure tests.

5 And so, we undertook a program from
6 1967 to 1977 to repressure test. Our fathers,
7 almost grandfathers for some of us, didn't
8 understand the need to retain the highest
9 operating pressure, and I still don't understand
10 why we would need to know the highest operating
11 pressure if we took this exception. And so, I
12 would just have the PAC consider that.

13 Any questions?

14 (No response.)

15 Thank you.

16 MR. DANNER: All right. We've noted
17 it. Thank you.

18 Go ahead, sir.

19 MR. MILLER: Good afternoon.

20 My name is Lane Miller, and I'm with
21 TRC.

22 Let's change gears just a second,

1 because as we move into the applicability part of
2 the conversation it hadn't gone here yet, but
3 it's very pertinent to this particular section.

4 I'm representing North McMurray
5 Manufacturing, commonly known as NORMAC, one of
6 the largest manufacturers of compressive
7 fittings. I appreciate the opportunity to
8 address the Committee concerning the proposed 624
9 and the related definition under 192.3 for legacy
10 construction techniques.

11 From a manufacturer's perspective,
12 NORMAC and others feel that the proposed
13 definition encompasses many construction
14 practices that are still being used and allowed
15 by the regulations in the pipeline industry. As
16 has been elaborated in greater detail in our
17 written comments to the docket, construction
18 repair pipelines using properly-installed
19 compression-type joints is one of these
20 practices. Properly-installed compression joints
21 are fit for life of service for the life of the
22 pipeline, and we agree and support statements

1 made by AGA, DTE, and others concerning this
2 definition.

3 Additionally, there are concerns based
4 upon the proposed definition being written into
5 192.3, that it implies that it is also applicable
6 to distribution lines as well as transmission
7 lines.

8 Our recommendations to the Committee,
9 to PHMSA, include:

10 The first one, do not add the proposed
11 definitions of legacy pipe and legacy
12 construction practices in 192.3. This will help
13 eliminate the implication that they are
14 applicable to distribution lines.

15 No. 2 is to write a definition into
16 192.624 that specifically addresses the threats,
17 based upon conclusive technical evidence, which
18 PHMSA is trying to address. We encourage the
19 Committee and PHMSA to adopt AGA's recommendation
20 to substitute legacy pipe and legacy construction
21 techniques into proposed 192.624 with the
22 following:

1 Joint factor of less than 1.0 is
2 defined in 192.113. It was known to be installed
3 using construction techniques which are no longer
4 acceptable or recognized under Part 192 for new
5 construction.

6 In addition, General Electric,
7 commonly known for their dresser couplings, have
8 collaborated with NORMAC in the preparation of my
9 comments and the position paper which will be
10 provided to the docket. GE joins NORMAC in
11 urging that the definition of legacy construction
12 techniques, as proposed for a final rule, be
13 eliminated and replaced by an accurate and
14 appropriate alternative phrase detailed in these
15 comments.

16 Thank you for the opportunity to
17 provide comments to this very important
18 rulemaking.

19 MR. DANNER: All right. Thank you.

20 MR. CHITTICK: Hi there. I'm Dave
21 Chittick with TransCanada Pipelines.

22 I would like to make some comments on

1 the inclusion of the smaller diameter pipes with
2 the lower hoop stresses less than 30 percent.

3 But I think I should also thank PHMSA
4 for the opportunity to make the comment.

5 As highlighted in the presentation,
6 this grouping of pipes, you know, typically,
7 small diameter, 2-inch forward and 6- or 8- small
8 pressure pipelines, really do represent small
9 risk. As identified in the presentation, about
10 25 percent of the mileage of pipe that requires
11 reconfirmation is within this grouping, small
12 diameter, low pressure, low risk.

13 When I look at the TransCanada system,
14 on one of our pipelines we have 750 segments
15 spread out amongst 250 pipelines that fall into
16 this category. And the option of derating by 10
17 percent just isn't practical. These pipelines
18 form part of overall networks, and we just can't
19 derate them readily by 10 percent.

20 And the other option of replacing pipe
21 or pressure testing just isn't commensurate with
22 the risk exposure. I was very pleased yesterday

1 with the opening comments by the Administrator
2 really encourages us to ensure we put our focus
3 where we will make an impact, and these small
4 diameter, low pressure pipes aren't where we
5 should be focusing.

6 So, thank you.

7 MR. DANNER: All right. Thank you.

8 Yes, sir?

9 MR. KERN: Mike Kern, National Grid,
10 Director of Transmission Engineering.

11 National Grid appreciates PHMSA
12 revising requirements from 505(c) to subpart (j).
13 However, there needs to be further clarification
14 that any test that meets the required pressure
15 and duration of subpart (j) where their records
16 are TVC, that these tests are acceptable.

17 In several states that National Grid
18 operates in, there have been pressure-testing
19 requirements in place long before federal rules
20 were developed. The validity of these tests must
21 be clear within the rule.

22 This also needs to apply to Section

1 619(a)(3), where companies that do not have
2 operating pressure records, but do have pressure-
3 testing records, that these are valid.

4 And further comment is, in this
5 section where we use terms like "legacy pipe" and
6 "construction methods," that's open to
7 interpretation, so it has to be clear. You could
8 have someone interpreting this to mean any legacy
9 pipes. So, anything prior to 1970, then, could
10 be potentially pulled into this section, which
11 would, for us, be a game-changer. That would put
12 significant amounts of inventory into 624 and in
13 likelihood need to be replaced.

14 Thank you.

15 MR. DANNER: All right. Thank you.

16 There's more. Good afternoon.

17 MS. TOCZYLOWSKI: Hello. My name is
18 Lauren Toczykowski. I'm with Consolidated Edison
19 Company of New York.

20 Con Edison generally supports this
21 rulemaking, but urges PHMSA and the Committee to
22 consider the following topics related to MAOP

1 reconfirmation:

2 In comparison to the proposed rule,
3 which affects Con Edison's entire transmission
4 system, the congressional mandate to focus on
5 pipelines operating at greater than 30-percent
6 SMYS would only affect 20 percent of our system.
7 As proposed, Con Edison's only viable option to
8 comply with this proposed regulation is to
9 replace our entire transmission system.

10 Con Edison has records that show that
11 all of our transmission lines were previously
12 pressured tested. However, the pressure test
13 records would not satisfy these new requirements.

14 Con Edison is concerned that the
15 proposal rule underestimates the use of pipeline
16 replacement as the method to reestablish MAOP
17 and, therefore, underestimated the cost and time
18 needed to comply.

19 As written, the cost to comply with
20 this section of the rule will cost Con Edison and
21 our customers over \$2.5 billion in current-day
22 dollars. In comparison, if the rule was applied

1 to pipe greater than 30-percent SMYS, the cost
2 would be \$400 million.

3 For Con Edison, the proposed 15-year
4 schedule is not feasible to accomplish such a
5 large-scale replacement program, given the dense
6 urban environment in which our transmission
7 facility is located. We are concerned that we
8 may need to disconnect large segments of the
9 system simultaneously to complete large, complex
10 construction replacement projects. This could
11 impact our distribution customers as well as the
12 connected electric and steam generation and our
13 interconnected neighboring LDCs.

14 Moreover, Con Edison's electric and
15 steam generation customers would be forced to
16 burn fuel oil during these extended outages,
17 which will not only have adverse environmental
18 impacts, but may also contravene existing
19 environmental regulations. Accordingly, the
20 potential impact on electric reliability is a
21 concern.

22 In comparison, if the rule applied to

1 pipe greater than 30-percent SMYS, Con Edison
2 believes we could achieve pipe replacement for
3 this portion of our system within the proposed
4 timeframe.

5 Con Edison encourages the Committee
6 and PHMSA to consider these factors and consider
7 that an industrywide timeframe may not be
8 feasible for all gas utilities; in particular,
9 LDCs that have transmission in their service
10 territory and those utilities that will be
11 selecting pipe replacement as a means of
12 complying.

13 Thank you.

14 MR. DANNER: Thank you.

15 MR. REYNOLDS: Good afternoon.

16 Lee Reynolds with NiSource. We're a
17 company that operates primarily a distribution
18 company, but we do own and operate about 1,000
19 miles of transmission class pipeline in seven
20 operating states. But, being primarily
21 distribution, we're about 55,000 miles of
22 distribution main.

1 I wanted to point out I support the
2 comments made previously by the industry members
3 on this issue. As a person who also writes
4 procedures on behalf of our company, I can
5 appreciate the complexity of the rulemaking
6 process here. In turn, when we have to, as
7 industry members, go back and have to write our
8 procedures in order to comply with the code, we
9 rely upon the appropriateness of the regulations.
10 So, again, we thank you for the opportunity to be
11 able to offer our comments on this.

12 NiSource certainly supports the
13 efforts of PHMSA and the GPAC discussions of all
14 of its members.

15 Specifically in regards to, I think
16 Mr. Miller pointed out previously in regards to
17 the slide deck, talked briefly on legacy pipe,
18 legacy construction techniques, but in responses
19 it did not bring it out. So, I wanted to go on
20 record to indicate that NiSource does support the
21 AGA comments as part of the industry in regards
22 to appropriately addressing the legacy

1 construction techniques and legacy pipe.

2 Although 624 does specifically speak
3 to onshore transmission pipelines, by placing the
4 definitions up in 192.3, it can create some
5 confusion in regards to when you place those
6 types of terminologies that are specific to a
7 particular section in the primary definitions of
8 192.3. So, it's recommended that, if definitions
9 are needed, to adopt the industry position to
10 place those, then, maybe specifically in 624,
11 since that's where the particular terms do reside
12 under that code section, in place of 192.3.

13 In addition, I support Mr. Miller's
14 comments around the specific type of couplings,
15 and so forth, that were called out, I believe, in
16 the term, in the proposed rule, specifically
17 address dresser couplings. I think the intent,
18 at least through industry, is that really is
19 maybe more the mechanical non-restraint or
20 sealed-only style. So, we just ask to reframe by
21 not drawing out specific type of manufacturers'
22 names, or so forth, but specifically speak to the

1 overall general type of couplings, if that is the
2 intent.

3 Thank you again for the opportunity
4 for comment.

5 MR. DANNER: All right. Thank you
6 very much.

7 MR. LONN: Richard Lonn, Southern
8 Company Gas. We serve 4.5 million customers
9 around the eastern and southern portions of the
10 country as well.

11 I'll be very short. Mr. Lee Reynolds
12 spoke very eloquently on the issue I wanted to
13 speak on as well. I think as it relates to the
14 legacy issue, we need to be very, very focused on
15 that, if we can. I understand PHMSA's need to
16 address certain issues, but we don't want to
17 incorporate in processes and techniques that, in
18 fact, are in use today and are very successful in
19 that regard.

20 So, I'll keep it short. Thank you.

21 MR. DANNER: All right. Thank you.

22 Anyone else?

1 (No response.)

2 All right. Seeing none, I understand
3 that if you have comments that are not in the
4 docket, we ask that you do submit them in the
5 docket.

6 Go ahead, Alan.

7 MR. MAYBERRY: Yes. No, I was just
8 going to ask, to the extent what you had just
9 described, all of you, was not put on the docket.
10 If you could do that, that would really be
11 helpful. So, I would appreciate that. Thanks.

12 MR. DANNER: Okay. So now, I would
13 like to open it up to discussion among the
14 Committee members, but I see no cards. Oh, okay,
15 Chad?

16 (Laughter.)

17 MR. ZAMARIN: Thank you.

18 MR. DANNER: Chad, go ahead.

19 MR. ZAMARIN: Chad Zamarin, Williams.

20 Just a point to clarify, we're going
21 to focus discussion right now on applicability,
22 is that right?

1 MR. DANNER: Yes.

2 MR. ZAMARIN: Okay. One, I struggle
3 with the in-service incident being a driver for
4 MAOP reconfirmation. I don't think that was the
5 intent of the legislation. I do think that we
6 have to deal with post-incident response in other
7 parts of the code, but I just struggle with that
8 being one of the drivers for MAOP reconfirmation
9 when the intent of the legislation, and I believe
10 the intent of the rulemaking, should be on
11 addressing pipelines that had not been previously
12 tested and pipelines that didn't have records
13 demonstrating a sufficient subpart (j) test. So,
14 I just want to raise that I would propose that we
15 not include that in this section of the code, and
16 that that be left for post-incident response and
17 be addressed in the other pertinent parts of the
18 code.

19 And then, the other item that I would
20 like to address, there were some comments in the
21 public. I do think that the 30-percent SMYS
22 issue got tucked away kind of in the solution

1 side. I would propose that we consider moving it
2 to the applicability portion of this change.

3 Again, the legislation was very clear.
4 This was targeted toward pipelines that were
5 operating at stresses above 30 percent. It was
6 targeted toward pipelines that posed a risk to
7 the public or at least the greatest risk to the
8 public. And so, I do think we introduce a whole
9 host of problems when we extend this section
10 beyond what that original mandate required.

11 So, those are my only two comments on
12 applicability. Thank you.

13 MR. DANNER: All right. Are there any
14 other comments on applicability? Is there anyone
15 who -- all right, Sara?

16 MS. GOSMAN: Sara Gosman.

17 Just in response to Chad's comment, do
18 you have an estimate of the miles of pipeline
19 we're talking about in that one particular
20 section where there is an incident that, then,
21 triggers the applicability? Are we talking about
22 a large amount of pipeline mileage here or a

1 small amount? Or we don't really know?

2 MR. NANNEY: I didn't come today
3 prepared to address that one specific question.
4 We may know, but we don't know today.

5 MR. ZAMARIN: Part of my concern is
6 it's kind of this strange, it is a strange factor
7 for how we would select areas we would do MAOP
8 confirmation, when I think it was pretty clear
9 our goal was to address pipelines that weren't
10 previously tested because they were grandfathered
11 or didn't have sufficient records to support the
12 tests. So, I struggle with how it fits in this
13 section. That's my concern.

14 MS. GOSMAN: So, I understand the
15 trigger from a -- sorry, Sara Gosman. I
16 understand the trigger as a risk trigger for
17 applicability. And from that perspective, it
18 makes sense to me. I just wonder how -- my guess
19 is that this is not affecting a lot of miles of
20 pipeline, but maybe I'm wrong on that.

21 MR. ZAMARIN: Chad Zamarin again. If
22 I could just respond?

1 The integrity management section of
2 the code requires us to assess all of our HCAs
3 and to perform risk assessment and implement
4 corrective measures, assessment measures, based
5 on the threats to those unique sections. If, in
6 doing so, we identified pipelines that had a
7 history of failure due to a certain threat type,
8 then we're obligated to implement assessment and
9 mitigation measures to address those particular
10 threats, which, again, is why it just doesn't
11 feel right to me that we're taking on a threat-
12 specific MAOP, you know pressure-testing
13 requirement in this section of the code. That's
14 exactly what integrity management is designed to
15 do, to require us on every HCA to assess for
16 every potential threat to the pipeline safety,
17 and for those threats that are identified as a
18 potential for concern, we have to implement
19 assessment and mitigation methodologies. So, I'm
20 just trying to keep it as clean as possible.

21 Thank you.

22 MR. DANNER: Sara?

1 MS. GOSMAN: So, I understand that. I
2 think, as I read this, we're also applying this
3 to Class 3 and 4 locations as well as moderate
4 consequence areas. So, it's going beyond
5 integrity management.

6 MR. DANNER: Okay. Stephen?

7 MR. ALLEN: Steve Allen, IURC.

8 Could we go back to slide 49? I had a
9 question on that at the time. I just want to
10 look at it again.

11 Okay. So, the 49 incidents, 49
12 percent that had occurred after a post-
13 construction pressure test, do we have any
14 details on how long after those post-construction
15 pressure tests those incidents have occurred? I
16 mean, did they occur five years after the
17 pressure test or 20 years after the pressure
18 test?

19 MR. DANNER: Steve?

20 MR. NANNEY: Well, we'll have to
21 answer at another time, Steve. We don't have
22 that information today specifically.

1 MR. ALLEN: Okay. Okay. Thank you.

2 MR. DANNER: Alan?

3 MR. MAYBERRY: I think I'm hearing
4 like a couple of homework assignments --

5 MR. DANNER: Right.

6 MR. MAYBERRY: -- that we'll come back
7 with.

8 I have one point on one of the points
9 you had made. And I don't know, one thing, if we
10 stick with the mandate, then we get sideways with
11 NTSB. And yet, I hear the economic impact, too,
12 for Con Ed. So, how would you suggest we balance
13 that?

14 MR. ZAMARIN: I'm Chad Zamarin with
15 Williams. One quick comment and I'll jump to
16 that, just to follow up on what Steve had asked.

17 I would also ask that the incident
18 data that was presented parse out stress
19 corrosion cracking. I just wonder if it says
20 crack and manufacturing-related defects. Stress
21 corrosion cracking I think is something that
22 confuses the issue of establishing MAOP to

1 understand latent construction and manufacturing
2 issues. And if that includes stress corrosion
3 cracking, I think it will be a lot of the
4 population of post-test failures. So, I think it
5 would be helpful to parse that out.

6 My only comment on the NTSB comment, I
7 would see if others have any. We spent quite a
8 bit of time at least as an industry talking to
9 NTSB and trying to understand their
10 recommendations, so that we, as an industry --
11 and we haven't been doing nothing in the last
12 five years since their recommendations came out.
13 We respond very, very actively to NTSB
14 recommendations.

15 And I think in a couple of cases we
16 have to make sure we understand the intent of
17 what they were trying to accomplish. The NTSB is
18 not the foremost expert. They are not. I don't
19 think they would claim to be a standards
20 organization. I don't think they would claim to
21 be a technology development organization.

22 In our meetings with the NTSB, they

1 make it clear that there is an intent that they
2 are trying to drive us to achieve. In many
3 cases, when we raised the issue of spike testing,
4 for example, being proposed by NTSB on all
5 pressure testing -- you know, the industry has
6 worked on that issue. There have been dozens of
7 research programs dedicated over decades on spike
8 testing and stress corrosion cracking. And I
9 think NTSB's point was get untested pipe tested.
10 I mean, at the end of the day, that's what they
11 were driving towards.

12 And I think with respect to 30-percent
13 SMYS pipe, I think we have to be practical on
14 what is the population of pipe that poses the
15 threat. I think in other portions of the code
16 we've been very, very clear on low stress
17 pipelines posing a very, very de minimis risk of
18 major incident. And so, the effort and the cost
19 associated with going out and addressing those
20 pipes, you know, the juice just isn't worth the
21 squeeze, I think, in a lot of cases.

22 So, I think we can meet the intent of

1 the NTSB recommendations, without speaking for
2 them, but that would be my thought. Thanks.

3 MR. DANNER: Further comment?

4 Cheryl?

5 MS. CAMPBELL: Thank you, Mr. Chair.

6 Do we have any data on -- and I think
7 I saw it somewhere in here -- data on how much
8 are we talking about between the 20-and-30-
9 percent and the 30-percent-and-over rate? And
10 then, for instance, Con Ed's comments about the
11 cost differential, is that the way to structure
12 it, right, when working with our friends at the
13 NTSB? I mean, I agree with Chad, when I've
14 talked to them, they're interested in getting
15 pipes that pose a significant risk tested.

16 And so, one of our mandates is cost-
17 effective solutions. To your point, Alan, I'm
18 looking for a way to make that balance and find
19 that balance.

20 But do we have any of that data? I
21 thought I saw it somewhere. Oh, there it is.

22 So, the way that PHMSA has proposed

1 this rule, all 6200 miles would need to be
2 pressure tested? Am I reading that correctly?
3 Am I thinking about it correctly? Maybe I should
4 ask.

5 MR. NANNEY: It would need to go
6 through one of the methods, but necessarily
7 pressure tested.

8 MS. CAMPBELL: All 6200 miles?

9 MR. NANNEY: The 6200?

10 MS. CAMPBELL: Yes.

11 MR. NANNEY: Yes, yes.

12 And just to say on the 8-inch and 30
13 percent, you know, we had the small diameter pipe
14 requirement.

15 MR. DANNER: All right. Anything
16 other -- yes, Ronald?

17 MR. BRADLEY: Hi. Thanks, Mr.
18 Chairman. Ron Bradley.

19 Could PHMSA -- I think you may have
20 done this -- could you spend some time speaking
21 to the cut? So, specifically, in my mind I have
22 a belief that there's a reason for that cut, the

1 8-inch, smaller than 8-inch and less than 30-
2 percent SMYS. But could you expand on, someone,
3 maybe why you did that striation of smaller than
4 8-inch diameter and less than 30-percent SMYS,
5 and then, a batch of larger than 8-inch diameter
6 and greater than 30-percent SMYS? Is there
7 something that led you to a place that says that
8 the risk inherent in -- and maybe it's using
9 maybe Chad's words. I think he said something
10 like the juice wasn't worth the squeeze.

11 (Laughter.)

12 I think I'll use that somewhere else
13 later.

14 (Laughter.)

15 Could you talk about that a little
16 bit, please?

17 MR. NANNEY: Well, when we were going
18 through looking at it, first of all, we had gone
19 around with various meetings and had had what we
20 were looking at doing on the docket. And so, we
21 went through and looked at various PIRs. And if
22 you just look at the Class locations 1, 2, and 3,

1 and you look at a PIR of 150 feet, well, it's
2 going to be low risk because you can't get enough
3 houses in 150-foot radius on the circle. So,
4 that's why we looked at it as, if you just count
5 and think in your mind, if you had a 300-foot
6 radius, how many homes can you get in there, how
7 many dwellings?

8 Also, then, we looked at, started
9 looking at pressures. That's why I showed the
10 pressures that we did. Think back on your
11 systems and the systems at National Grid. That's
12 why I was showing the 2900 pounds for 6-inch --
13 or 4-inch, and whatever the amount I had shown on
14 6 and 8.

15 First of all, probably none of the
16 systems operate even at 730 on the 8-inch. So,
17 they're probably going to be 500 or less. Those
18 PIRs even go down further than that. They're
19 less than 100. We were probably looking at 50
20 feet to 100. And then, when you look at 100-foot
21 PIR, it even gets where it's like being in a
22 Class 1 location or less.

1 So, that's why we put that out on the
2 table, and that's why, in going through this, we
3 were asking to have the discussion and the input.
4 It is because we understand where you're coming
5 from on that.

6 We have had very little input on
7 whether it should be 8-inch or 10-inch, or any
8 other items in there we should consider. We're
9 looking for that input.

10 MR. DRAKE: This is Andy Drake with
11 Enbridge.

12 I am trying not to get into the words,
13 but Sue Flack is kind of echoing in the back of
14 my mind here.

15 (Laughter.)

16 The devil is sort of in the details
17 here. I think when I look at the congressional
18 mandate, it says, requires conducting tests to
19 confirm the field strength of previously untested
20 natural gas transition lines on high-consequence
21 areas and operating in a pressure greater than 30
22 percent of SMYS that were not previously tested.

1 That's actually the congressional mandate.

2 That's slide 37.

3 I just want to make sure I'm getting
4 this right. If we have a valid 1.25 hydrostatic
5 test, and we're grandfathered for any number of
6 reasons, that test is valid? I mean, I think
7 that's really an important concept.

8 What I'm starting to hear is, well, if
9 you've had an incident, which we haven't defined
10 exactly what that means, then that test is now
11 not valid. Is that your intent? Or is the
12 intent, sort of the overarching intent, that if
13 you have a valid hydrostatic test on this pipe,
14 that that MAOP is valid?

15 MR. NANNEY: Well, first of all, the
16 mandate -- and I haven't got it in front of me to
17 look at -- on the NTSB recommendations was, if
18 you had a valid pressure test and you were
19 operating in accordance with the code, whether
20 that was a 1.25 or a 1.5 test, then you would not
21 be applicable here.

22 Now, as you said, the devil is in the

1 details of what we've written and what the
2 mandate said on what we're getting at. But, if
3 you had a system that had an applicable pressure
4 test, and everything, you probably would not be
5 applicable to this, to answer your question.

6 MR. DANNER: All right. Steve?

7 MR. ALLEN: Steve Allen, IURC.

8 I thought I heard, it sounded as if
9 you said, if there was a valid pressure test,
10 you're okay. If there was a valid pressure test
11 and, then, there was a subsequent incident, it
12 almost sounded like that incident invalidated
13 that pressure test.

14 MR. NANNEY: Would you say that one
15 more time?

16 (Laughter.)

17 MR. ALLEN: Well, I'll try.

18 I thought I heard that, if you had a
19 valid pressure test, you went through and you had
20 a valid pressure test, then you didn't have to go
21 back through all this. But, then, I think under
22 applicability, No. 1, it talks about, if the

1 pipeline segment experienced a reportable in-
2 service incident, that you would need to
3 establish, reestablish MAOP. It almost sounds as
4 if an incident, then, nullifies, I guess, the
5 previous pressure test. And help me understand
6 this. I think I've got this messed up, but help
7 me out.

8 MR. NANNEY: Well, why don't you let
9 me do this? Let me look at it and I'll answer
10 you back a little bit later. Just give me a
11 second on that.

12 MR. DANNER: All right. Andy?

13 MR. DRAKE: I think, just to get to
14 it, I think 192, what you've got here is (a)(1),
15 is I think where I'm getting a lot of concern
16 about the ambiguous nature of that statement. I
17 think, actually, we need to consider, is that
18 appropriate in an MAOP determinations? Or is
19 that an integrity management discussion?

20 And I'm a little bit concerned with
21 how broadly do you apply that. If I have a 1200-
22 mile pipeline, does that mean that the whole 1200

1 miles of that pipe is now not valid because I've
2 had one incident?

3 So, I think that section, we need to
4 be very deliberate to understand what do you mean
5 and why is that here.

6 MR. DANNER: All right. Chad?

7 MR. ZAMARIN: Thanks. Chad Zamarin,
8 Williams.

9 And just to follow up on this
10 conversation, I mean, I'm advocating for that to
11 be removed. We have pipelines that are
12 qualified, that have MAOPs that might have been
13 built five years ago that, if they were to
14 experience an incident, the MAOP would not be
15 invalidated, but the maintenance and upkeep of
16 that pipe would have to be called into question,
17 and you would have to understand what caused the
18 incident and what's required to get it safe to
19 operate at the MAOP.

20 So, the code and integrity management
21 and the rest of the code has kind of processes
22 for managing that. So, again, I'm kind of back

1 where I began. I think this is why I just really
2 don't feel like it fits as a gating factor for
3 MAOP confirmation.

4 And I would also say that, when we
5 have incidents, especially in high-consequence
6 areas, we're typically having to work with PHMSA
7 on corrective action orders and return-to-service
8 plans that require a variety of different things,
9 not just pressure testing to reconfirm safe
10 operating pressure. So, it just doesn't feel
11 like it's in the right place, and it doesn't
12 belong here.

13 Thank you.

14 MR. DANNER: All right. Sara? And
15 then, Steve.

16 MS. GOSMAN: So, I guess my question,
17 perhaps to PHMSA, perhaps to the industry
18 members, is, what happens after this type of
19 incident in Class 3 and 4 locations? And what
20 are possible moderate consequence areas? That
21 is, if the MAOP here is the speed limit, right,
22 wouldn't that be an important consideration after

1 an incident?

2 I hear you talking about integrity
3 management. What I don't hear is this other set
4 of areas where you have these incidents. What's
5 the followup on that? Is there another set of
6 safety measures you are taking?

7 MR. ZAMARIN: Yes, to respond to that,
8 yes, a great question. I think PHMSA can also
9 add response to this.

10 When an incident occurs, typically
11 irrespective of whether or not it's a high-
12 consequence area, but if it's in a Class 3 or 4,
13 a high-consequence area, we have to take
14 immediate corrective action. Typically, PHMSA
15 will also take corrective action and issue
16 expectations on what needs to be performed prior
17 to returning the line to service.

18 So, not only do we have to factor in
19 the history of a pipeline in integrity management
20 to identify potential threats, even if we haven't
21 had an incident near-term, if it's been in the
22 history of the pipe, we have to factor that into

1 types of assessments and mitigations we do. But,
2 if an incident were to occur, we can't return
3 that line to service without working with our
4 regulators. We have to report that the incident
5 occurred, and we have to work with the regulator
6 to create a return-to-service plan that requires
7 the corrective actions that we take, not only for
8 bringing that portion of the line back into
9 service, but for ensuring that that condition
10 doesn't exist elsewhere that could cause a safety
11 concern.

12 Again, this section is about
13 confirming the MAOP of pipelines that haven't
14 been previously tested or grandfathered, or don't
15 have records for MAOP. It just doesn't feel like
16 it's the section to address this issue.

17 Now your question about HCAs not
18 including Class 3s and 4s, I think there's
19 another part of the rulemaking where we're going
20 to talk about extending integrity management.
21 That may be an area where we want to talk about
22 what we should be doing beyond the traditional

1 HCA definition. But, again, it just doesn't feel
2 like this is the right place to be having this
3 requirement.

4 MR. DANNER: All right. Steve?

5 MR. ALLEN: Steve Allen, IURC.

6 Steve, I think Chad answered my
7 question. So, there's no need for you to get
8 back to me on that last question. All right?
9 Thanks.

10 MR. DANNER: All right. Andy? And
11 then, Alan.

12 MR. DRAKE: Yes, I think Chad brings
13 up a good point. Your question is a good
14 question. And that is, so what do you do about
15 this? And I think what we're talking about doing
16 here is you're talking about doing integrity
17 management. I think the point here is that we're
18 talking, also, in the next discussion about
19 extending integrity management to MCAs, which is
20 even more relevant.

21 I think my concern is that we're
22 actually trying to set the MAOP for pipes and do

1 integrity management. What we've done is we keep
2 integrating integrity management into the
3 discussion about setting the MAOP. If we have a
4 valid test and we have an MAOP, that's good, and
5 we need to do integrity management. And we're
6 going to do integrity management beyond HCAs,
7 which picks up, I think, the point of this
8 ongoing effort to make sure we figure out what
9 happened there and what are we going to do about
10 it, not just one time, but on an ongoing basis.
11 Because we could have a hydrostatic test failure
12 tomorrow after we set the MAOP. This is
13 happening, in essence, in this section of the
14 code one time. Integrity management goes on.

15 So, the point is, what do we do about
16 a material failure on a pipe two years from now?
17 We wouldn't go back and rejig the MAOP
18 calculations and determination. We actually
19 deploy integrity management. And I think that's
20 the cart and the horse we keep intertangling.
21 But that's my answer to your question as well.

22 MR. DANNER: All right. Alan? And

1 then, Steve Nanney.

2 MR. MAYBERRY: Now, here again, I
3 think we have some -- we've gotten feedback, and
4 we'll take this back.

5 We just adjusted the applicability
6 section of 607. We talked in terms of taking
7 each issue individually.

8 Establishing MAOP, I think we agree
9 that the pressure test, that's a premiere record
10 for that. But in terms of an in-service failure,
11 okay, yes, that should be covered under integrity
12 management, kind of a different section.

13 I think we hear what you're saying.
14 We just need to make sure that we consider that
15 and come back to you. I think it's a valid
16 point. We just need to look at it just to make
17 sure.

18 MR. DANNER: Is that the last word on
19 applicability for today?

20 All right. Steve?

21 MR. NANNEY: Now just to follow up on
22 what Alan has said, and just listening to

1 everybody, when we wrote this and we were looking
2 at it, it was because not everything is under
3 integrity management. And we also realized, just
4 like what Andy and Chad have said, we do expect
5 our compliance CAOs and Notice of Probable
6 Violations, and making operators go back and
7 test, would comply with this, if you have an
8 incident.

9 But the key is, do you put it in there
10 or not? Because putting it in there means that
11 it will definitely be done if you have an
12 incident. That's part of the discussion here
13 today, is to get your input, should we go back
14 and consider pulling that or do we leave it in?
15 So, that's part of what we want to hear.

16 As far as giving an answer yes or no
17 today, like Alan said, we'll go back and look at
18 it, and we'll address it back to the Committee at
19 our next meeting.

20 MR. DANNER: Okay. Any further
21 comment on this?

22 Cheryl?

1 MS. CAMPBELL: Thank you, Mr. Chair.

2 I do want to just make sure that we
3 don't lose track of this 20-to-30-percent
4 category as part of applicability. And I'm
5 hopeful, Alan, that PHMSA will take a look at
6 what we've got in there, what has been causing
7 the failures that PHMSA has noted in that
8 category.

9 The way I read the report, there were
10 some very specific circumstances, not broader
11 material issues. So, given the cost compared to
12 the benefit, is there another way to address that
13 issue that might do a better job of managing the
14 risk and the cost of that piece of the program,
15 and, yet, still meet NTSB's intent? So, I just
16 want to make sure we don't lose track of that
17 particular issue.

18 MR. DANNER: Okay. Alan? And then,
19 Sara.

20 MR. MAYBERRY: I can appreciate that
21 and actually anticipated this exciting kind of
22 conversation -- (laughter) -- because, of course,

1 the accident, the PG&E accident out there dealt
2 with one end of the spectrum, some high-risk
3 pipe. Here we're dealing with the broad spectrum
4 of what we call transmission, because the
5 recommendation really told us look at that. And,
6 of course, we have what's in the mandate, which
7 has the 30 percent. But we'll take a look at
8 that.

9 But I know we're dealing with a full
10 range, the full spectrum. I knew a lot of our
11 argument would be over the bottom end, the 20
12 percent to 30 percent, or in that range. So,
13 we'll take a look at it.

14 MR. DANNER: Go ahead, Steve.

15 MR. NANNEY: When we wrote the rule,
16 and like the individual from Con Ed and National
17 Grid, all of them, said, it's a small diameter,
18 low stress, low impact. But we understand and
19 agree it's probably a big portion of this.
20 That's why we had the slide showing the 8-inch
21 and below.

22 With what we've been given, what we've

1 gone back and forth with is what do you do. Do
2 you just say you don't do anything because it's
3 too costly? Do you do more? Do you reduce the
4 pressure some amount? Do you do more
5 inspections, whether that's some type of a DIMP-
6 type procedure, more patrols, more surveys for
7 leaks and repairing those?

8 You know, PHMSA is open to this
9 Committee, the audience, any recommendations
10 there, because that's why we put out the 10
11 percent; we put out the patrols, and everything.
12 But we've been at a loss not to require anything.
13 But we're open to suggestions and taking that
14 back.

15 MR. MAYBERRY: If I might add, you
16 know, one of the challenges is, I mean, we do
17 close recommendations, alternative action. That
18 happens quite often. The challenge here, it just
19 seems so black and white, but I know there are
20 options for closing, but it's just the wording
21 here is fairly specific related to the
22 recommendation. But we'll look at it.

1 MR. DANNER: Okay. Sara?

2 MS. GOSMAN: So, I want to just,
3 first, close out the discussion around the in-
4 service incident. It seems to me, if the
5 incident tells us that the original MAOP
6 determination is incorrect, right, that's the
7 point in time in which that needs to trigger,
8 then, this provision. And I wonder if there's
9 language we can't come up with that would
10 essentially focus on that.

11 And then, in terms of the SMYS issue,
12 this relates to the grandfathering set of issues,
13 right, because we have two provisions in the
14 statute, one that talks about, basically, lack of
15 records, and then, the other one that talks about
16 these testing regulations that focus on
17 grandfathered pipe. So, I just want to make sure
18 I know which category we're talking about when we
19 talk about SMYS. Am I right? No?

20 MR. McLAREN: Well, the 30-percent
21 SMYS has traditionally been identified as the
22 ratio where you would go from a leak to a

1 rupture, not wanting a rupture.

2 MS. GOSMAN: So, Cheryl, when you
3 raised the concern about SMYS, are you saying
4 that that applies both where we don't have
5 records and where we have grandfathered lines?

6 MS. CAMPBELL: It possibly could. The
7 data -- and again, there is some data, right, on
8 this concept of leak versus rupture. I think in
9 a perfect world we would have all records for all
10 pipes, and we would have nice subpart (j)
11 pressure test records for all pipes.

12 I think that different utilities and
13 operators, right, transmission operators,
14 depending on their path, right, have some kind of
15 interesting anomalies and challenges, depending
16 on where they operate across the country. So, I
17 mean, you could have a grandfathered pipe that
18 operates at 20-percent SMYS that's unlikely to
19 rupture when it fails. It would be a leak.

20 And let me be really clear, Sara.
21 Blowing gas in an urban area is not a good day,
22 and I think everybody in this room would agree

1 with that. And nobody wants to do that.

2 I think that the cost of solving it
3 is, you know, you have consider that at some
4 point. And then, I guess I feel strongly that
5 you should be able to take some other actions to
6 remediate it to keep it from happening, is
7 another way to put it, right?

8 I mean, companies have got the message
9 loud and clear. I think my peers would agree you
10 cannot allow this to happen, right? You just
11 cannot allow it to happen.

12 So, people are working hard to do
13 that. But replacing the pipe or pressure testing
14 the pipe isn't always the answer. So, what other
15 things can we do? I think that's what I heard
16 Steve say, is give us some suggestions on other
17 things we can do to protect the safety of the
18 people around these assets, where it might not
19 make as much sense to perform a full pressure
20 test.

21 MR. DANNER: Okay. Alan? And then,
22 Chad.

1 MS. GOSMAN: Could I? I'm sorry.

2 MR. DANNER: Oh, I'm sorry, Sara, you
3 have more?

4 MS. GOSMAN: Yes, just to follow up.

5 So, at least on the grandfathering
6 side of things, I've gone back and looked at the
7 original Federal Register notice with the federal
8 minimum standards. I've read the discussion of
9 grandfathering. It really was about 31.8 and the
10 particular testing requirements that were from
11 the thirties to the fifties, right? And that
12 period of time was rather recent in 1970, but
13 it's not recent here in 2017.

14 So, I look at the mileage that we are
15 looking at, and I think in some ways we've made
16 amazing progress, that we're only at that mileage
17 for thinking about these grandfathered miles.
18 But I think we're at the point where I think all
19 of them should be -- we should follow the NTSB
20 recommendation.

21 And I think, also, it's just, I would
22 say from the public perspective, right, it's hard

1 for the public to understand why we would be not
2 testing these particular miles. Because, I mean,
3 I think it was an economic issue back in 1970 or
4 '71 because it was such a large part of what was
5 out there. It's not as much a major part of
6 what's out there now. And it strikes me that
7 this is one of those situations where to close
8 that loophole is really a win in terms of sort of
9 the public confidence in pipelines, and we're
10 just in a different place than we were back then,
11 when it made a lot more sense.

12 MR. DANNER: All right. Chad?

13 MR. ZAMARIN: Thanks. Chad Zamarin,
14 Williams.

15 I hear you. I just do want to
16 reiterate -- and Chris mentioned it -- I mean, I
17 don't think it does the public any good to be
18 implementing the same aggressive techniques on
19 pipelines that pose little to no threat to public
20 safety as we are on pipelines that do. And
21 that's what we've long tried to do as an
22 industry.

1 The 30-percent SMYS criteria is a
2 criteria that has been established through a lot
3 of research and a lot of analysis that
4 demonstrates that, for the vast, vast majority,
5 there is a de minimis amount of risk below that
6 stress level that a pipeline would fail
7 catastrophically and cause a significant impact
8 to life and property.

9 And so, I just want to be careful that
10 the idea of doing everything everywhere is a
11 great idea, but at the same time channeling our
12 resources towards where we'll have maximum impact
13 I think is a really important way to demonstrate
14 to the public that we're looking to solve the
15 issues that really matter. We're not just
16 looking to have a feel-good kind of set of
17 actions.

18 And the reality is, it was expensive
19 in the seventies. It's gotten much more
20 expensive to dig up pipe. It's gotten much more
21 environmentally disruptive. It's gotten much
22 more dangerous to do excavation, construction

1 activity, when you don't need to. And so, I
2 would just encourage the PHMSA team to continue
3 to look at this issue, because that's been, I
4 think, a filtering criteria that's been employed
5 very successfully that kind of sets aside the
6 things. And it's why it's in the legislation.
7 It sets aside those areas that aren't of
8 significant safety risk and focuses us on the
9 ones that are.

10 MS. GOSMAN: Sorry. Okay, so to
11 complete it, I mean, I think there's an
12 applicability issue and, then, there's a question
13 about what you do once those pipelines are in,
14 right, and how you test in a way that's cost-
15 effective.

16 So, I guess, from my perspective, I
17 think they should all be in. But, then, I think
18 there's a question about what we do in terms of
19 the possible alternatives. And that's where I
20 would want to see PHMSA focus.

21 MR. DANNER: Okay. Mark?

22 MR. BROWNSTEIN: Yes, I'll make it

1 short because I think Sara just hit on my point.

2 I was listening to this conversation.

3 I was trying to figure out what the hangup was.

4 And if the issue is one of cost and --

5 MR. DANNER: Sorry, Mark, can you get
6 closer to the microphone, so that we can pick
7 that up?

8 MR. BROWNSTEIN: Sure.

9 If the issue was one of cost and
10 difficulty, then it speaks to the procedure that
11 you would use. But I think I'm with Sara on the
12 applicability issue. I mean, once again, I think
13 we've got to -- the public actually likes feel-
14 good stuff, right? And so, to the extent that we
15 can make them feel good, we should be doing that,
16 right? And so, the question, then, becomes,
17 right, what are the steps that we can take to
18 address their concerns in a cost-effective way,
19 but not simply categorically take stuff out of
20 the process? That's all.

21 MR. DANNER: So, what I'm hearing from
22 you is leave it in, and then, we'll figure out

1 another way or a new way to address how we deal
2 with those?

3 MR. BROWNSTEIN: Yes.

4 MR. DANNER: All right. Okay. Andy?

5 MR. DRAKE: This is Andy Drake with
6 Enbridge.

7 I like this conversation, actually.
8 It brings back memories of when we talked about
9 the Integrity Management Rule 17 years ago and we
10 came up with -- or nightmares of that
11 conversation.

12 (Laughter.)

13 But I think it harkens me back to, why
14 are we doing this? And we made a commitment,
15 INGAA did, and I think it was appropriate
16 technically, that we would test untested pipes
17 starting in high-consequence areas, period.

18 And why are we doing that? What we're
19 trying to look for are material flaws that are
20 not readily identified through inspection
21 techniques or other readily-available tools. We
22 need to develop those technologies. They're not

1 here right now. The code, this recommendation
2 kind of picks up provisions for that.

3 The other thing is construction
4 defects that also may not be readily identifiable
5 through current tools and technologies. So, why
6 30 percent? I mean, so why do we give this group
7 an exemption? Because what we're looking at is
8 distress levels that those pipes operate at and
9 do not tax those threats that heavily.

10 And we look at, we look really hard at
11 what is the way those things are going to
12 manifest themselves. We've seen a host of
13 incident data that PHMSA hasn't made access
14 through -- Kiefner and Associates did some work.
15 The largest part of those are things that we
16 would identify through our integrity management
17 programs. Outside force, external corrosion,
18 those are things that we would manage. They're
19 not typically failing because of manufacturing
20 flaws. I wouldn't say never, but it's very, very
21 unusual that that would be the case. And we're
22 not trying to give them an exemption.

1 I think we're trying to focus our
2 energies into where is hydrostatic testing going
3 to serve us well for that threat where other
4 tools do not work well. And I think that's
5 really all the discussion is about. It is the
6 same conversation we had 17 years ago. Why is
7 DIMP different than GIMP, or whatever it's
8 called? Gas integrity, transmission integrity
9 management, why are they different?

10 And a lot of that is because of how is
11 that threat manifesting itself and how does that
12 tool work on that threat. It is not intended to
13 give an exemption. It's really intended to focus
14 energies in places that are productive. And I
15 think that's the best explanation I can give. I
16 don't think, frankly, it's intended to try to
17 pass something under the radar screen or get away
18 with anything. It's how do we marshal energies
19 constructively to the things that those pipes,
20 what risks those pipes create.

21 I don't really know that broad
22 hydrostatic testing is going to identify

1 significant material flaws that would manifest
2 themselves as a threat in operations. And that's
3 the conclusions we've drawn over years. But I'm
4 open to talk about that, but that's where this
5 criteria has come from and that's why it's
6 actually in the code currently. And that's why
7 it's in DIMP and GIMP, and that's why it's here
8 again.

9 I just try to connect how that
10 discussion keeps manifesting itself. And that's,
11 I think, a little bit why we keep going back to
12 we really need to make sure we're clear about
13 integrity management, because integrity
14 management is the threats that are manifesting
15 themselves usually on those pipes. We need to
16 get very clear about what we're going to do about
17 that. And that's not exempted here.

18 MR. DANNER: All right. Rich?

19 MR. WORSINGER: Rich Worsinger, City
20 of Rocky Mount.

21 I appreciate the discussion between
22 the 30-percent SMYS and the 20-percent SMYS, and

1 where should that cutoff be, but I just want to
2 throw out for you just another concern. We have
3 some lines that are considered transmission, some
4 of our smallest operators. They're 2-inch
5 diameter or 3-inch or 4-inch diameter. And
6 they're merely classified that way because of
7 that definition that says a line between a
8 storage facility and a distribution center is a
9 transmission line.

10 And so, there are some states that
11 will consider, if you have a storage facility on
12 a transmission line, and there's nothing -- a
13 storage facility, transmission line, and then,
14 the line that connects to that city, that
15 municipal system, that small, little line which
16 is probably a 1-percent SMYS is considered
17 transmission. I just wanted, Steve, to throw
18 that into the mix for you also to consider, and I
19 see you shaking your head yes, so you got it.

20 MR. DANNER: Okay. Chad?

21 MR. ZAMARIN: Yes, I think my last
22 comment is -- Chad Zamarin, Williams -- I just

1 want to reiterate, I think we need to be careful
2 that we don't allow scope creep to happen and we
3 remember what we're trying to do.

4 I understand the NTSB recommendations,
5 but I believe the intent of both the legislation
6 and the NTSB recommendations, having been there
7 for both, was to prevent the next significant
8 incident. And that's why this rulemaking I
9 believe is in front of us.

10 Extending and creeping it to pipelines
11 that operate at low stresses that don't pose a
12 risk of causing the next significant incident, it
13 just seems like creeping the scope to an area
14 that provides no benefit. And I think we need to
15 -- I think when we wake up in the morning, our
16 goal is to prevent the next incident. Including
17 less-than-30-percent SMYS pipe in this
18 requirement doesn't contribute to preventing the
19 next major incident.

20 MR. DANNER: Okay. All right. Thank
21 you.

22 I don't see any other cards up. So, I

1 think this would be a good time for us take a
2 short 10-minute break, and we'll come back and
3 we'll vote on this.

4 (Laughter.)

5 No. All right. Well, come back in 10
6 minutes.

7 (Whereupon, the foregoing matter went
8 off the record at 3:49 p.m. and went back on the
9 record at 4:06 p.m.)

10 MR. DANNER: Okay, let's reconvene.

11 All right, everybody, that was a
12 little more than 10 minutes, but we're back.

13 And I'd like to now invite public comment on
14 item 2, methods. So, if there are public
15 comments, please come to the microphone in the
16 aisle.

17 And on all methods, pressure tests,
18 pressure reduction, ECA, pipe replacements, small
19 diameter PIR, and alternative technology.

20 MS. GOULD: Hi. This is Melissa Gould
21 with DNV GL.

22 With regard to spike testing, Report

1 TTO No. 6 to the U.S. Department of
2 Transportation in 2004 concluded that the length
3 of hold time has no discernible impact on the
4 effectiveness of a hydrostatic test in
5 establishing an adequate safety margin. They
6 stated that the most important consideration is
7 attaining the highest possible test pressure,
8 even if only for a few minutes.

9 There are also recent studies by
10 Kiefner and Associates which concluded that peak
11 pressure hold times greater than 5 to 10 minutes
12 can actually be harmful. They could cause flaws
13 to grow in a stable manner, but not fail during
14 testing. The work by Kiefner and Associates was
15 presented at PPIM in Houston in February 2016.

16 The current NPRM wording requires
17 spike testing to have a hold period of 30 minutes
18 at peak pressure. So, it's recommended that the
19 hold time for spike testing be evaluated by PHMSA
20 and the Committee and be shortened in accordance
21 with this published work.

22 Thank you.

1 MR. DANNER: All right. Thank you
2 very much.

3 MR. KERN: Michael Kern, National
4 Grid, Director of Transmission Engineering.

5 This relates to ECA. National Grid is
6 in full support of inclusion of fracture
7 mechanics in the proposed rule. This would open
8 the door for types of analysis such as ILI in
9 place of hydro testing.

10 These analysis techniques are
11 information-dependent and can only be applied
12 where datasets are available. The full values
13 can be used, but a full understanding of critical
14 flaw size and the probability of occurrence can
15 be difficult to quantify if the pipeline is not
16 ILI-enabled.

17 The proposed rule needs to clearly
18 define when fracture mechanics is required and
19 that it does not apply to all transmission
20 pipelines.

21 National Grid has been involved with a
22 number of initiatives, including GTI. The work

1 that they have done to develop some algorithms,
2 that can be used for ILI in place of hydro. We
3 find it a very useful tool, but in doing so, we
4 also understand the types of information that are
5 needed. So, we just want to caution that it's
6 not a cure-all, but it's very useful. But to
7 apply it across large sections of your system
8 when you don't have adequate information or ILI
9 information, it doesn't yield the results that
10 you think it does.

11 Thank you.

12 MR. DANNER: All right. Thank you.

13 Go ahead, sir.

14 MR. OSMAN: Good afternoon.

15 C.J. Osman, INGAA.

16 A couple of issues with respect to the
17 methods I would like the PAC to consider.

18 First is the PAC should consider
19 eliminating the requirement that operators use a
20 spike test to reconfirm MAOP for certain
21 segments. Spike testing was developed as a
22 targeted management tool for time-dependent

1 linear defects such as stress corrosion cracking.
2 Spike tests are designed as one option to prove
3 the stability of specific types of defects as
4 part of ongoing operations, maintenance, and
5 integrity programs, not to reconfirm the maximum
6 allowable operating pressure of the pipeline.

7 A single subpart (j) pressure test or
8 testing to subpart (j) pressure test levels is
9 sufficient to establish a safety margin that is
10 fundamental to MAOP. A spike test exposes pipe
11 to pressure levels higher than what the pipe
12 experienced during testing at the mill and well
13 above the pressure that the pipe will ever
14 operate, consistent with some of the comments
15 from DNV.

16 Additionally, the PAC should consider
17 the different requirements for the ECA method.
18 PHMSA should look at the practicability of this
19 method for reconfirming MAOP and remove
20 requirements related to operations, maintenance,
21 and integrity management that are necessary for
22 and inconsistent with MAOP reconfirmation.

1 There's a variety of examples, but the
2 ECA is going to be a very important method that
3 operators will use that will provide a lot of
4 information about the original pipeline
5 manufacturing/construction features, including
6 information on anomalies that could survive a
7 pressure test. It also provides information with
8 the least environmental impacts and service
9 disruptions.

10 Testing a pipeline's material strength
11 validates the maximum operating pressure for the
12 pipeline and is very different than the ongoing
13 process of managing the threats and risks to a
14 pipeline.

15 Lastly, as part of that ECA
16 methodology, PHMSA has provided some conservative
17 values for Charpy toughness. INGAA submitted a
18 report to the docket that was prepared by
19 Structural Integrity Associates that recommends
20 alternative conservative values for Charpy
21 toughness levels. That would be 13-foot-pounds
22 for body toughness and 4-foot-pounds for seam

1 toughness. And the PAC should consider using
2 those values as conservative assumptions for the
3 ECA calculations.

4 Thank you.

5 MR. DANNER: All right. Thank you.

6 MS. KURILLA: Hi.

7 MR. DANNER: By the way -- I'm sorry.

8 MS. KURILLA: Go ahead.

9 MR. DANNER: Before you start, I've
10 had a request that folks who have spoken this
11 afternoon or will speak this afternoon, members
12 of the public, if you could, if you have a
13 business card, if you could leave a card with the
14 court reporter whose hand is going up over there,
15 it should be very helpful because she doesn't
16 know everybody's name.

17 MS. KURILLA: No problem.

18 MR. DANNER: You may now proceed.

19 MS. KURILLA: Hi. I'm Erin Kurilla
20 with American Public Gas Association. I have a
21 comment pertaining to Method 5, small diameter
22 PIR.

1 First of all, the industry supports a
2 specific methodology for pipelines with small
3 diameter or small PIR or a low-percent SMYS.
4 However, we would like to call attention to the
5 fact that that methodology actually seems more
6 onerous than the methodology outlined for those
7 larger diameter and larger PIR in Method 2.

8 So, Method 2 for large diameter and
9 large PIR says that you are to take a pressure
10 reduction of 1.25 or the applicable Class
11 location factor. But, when you turn to Method 5
12 for small diameter, first of all, the lines have
13 to actually meet four criterion. They have to
14 meet the fact that -- I am on the wrong page.
15 Hold on.

16 It has to have an MAOP less than 30
17 percent and have a PIR less than or equal to 150
18 feet and have a nominal diameter less than 8
19 inches, and it cannot be able to accommodate an
20 ILI. So, not only do you have to meet all four
21 of those to be able to do Method 5, but, then,
22 when you do Method 5, you have to take a 1.1

1 times MAOP pressure test, and conduct ECA, and
2 conduct ICDA, and develop and implement
3 procedures to conduct non-destructive tests, and
4 do monthly patrols or weekly patrols, and do
5 instrumented leak surveys or weekly instrumented
6 leak surveys. And you have to odorize the gas.
7 And you have to do fracture mechanics. It feels
8 like a little bit more onerous than just taking a
9 pressure reduction.

10 So, I would like the Committee to
11 consider making a method that is comparable to
12 the risk of the asset for small diameter lines.
13 Thank you.

14 MR. DANNER: All right. Thank you.

15 DR. BELLEMARE: This is Simon
16 Bellemare, again with MMT. I'll be brief.

17 I want to talk about the availability
18 of what can be done today, or in the next two-
19 three years. And then, as an experienced
20 engineer, I have two comments that I would like
21 the Committee to address in their upcoming
22 discussion.

1 MR. MAYBERRY: Excuse me. Just as
2 long as you stick to a comment, and not like
3 promoting a certain --

4 DR. BELLEMARE: Sir, I am not here to
5 promote. I'm not.

6 MR. MAYBERRY: I appreciate it.

7 DR. BELLEMARE: If we could go to
8 slide 48 and 49, please? It speaks to the MAOP
9 confirmation and the method where you get data
10 both on the material and on the anomalies and the
11 combination of anomalies. And the other one is
12 Method 6 which says "alternative methods". No.
13 So, it's another deck, I guess.

14 All right. So, Section 192.624(c)
15 speaks to doing anomaly verification and using
16 material properties. Yes, exactly. Thank you.

17 Essentially, this can be done today by
18 combining ILI technologies. There are three
19 vendors and in-ditch methods, including ours, to
20 populate an entire map of the pipeline. By that,
21 I mean that, if you have pipes that are
22 different, when you run the ILI tool, you can go

1 in-ditch and verify whether they are special or
2 not. And you can even do a hot tap on those
3 situations. You identify the material
4 properties.

5 The reason I point to those two here,
6 the Method 3 and the Method 6, they do not
7 involve replacement of the pipeline. They do not
8 involve pressure tests, which for gas means
9 putting water into the line and, then, dealing
10 with everything that happens after that.

11 But they speak to making sure that you
12 have a leak-before-break criteria. So, that's an
13 engineering concept that's been developed in the
14 pressure vessel community, where you know that,
15 regardless of how the flaw size may evolve over
16 time, that you're not going to have a rupture
17 like it happened in 1994 in Edison, New Jersey,
18 where there was a dent, a big dent, but there was
19 also toughness material.

20 So, I really want to emphasize that
21 this is an opportunity. It's an opportunity to
22 avoid the big rupture by getting the data. And

1 when I hear today "getting the data," I think I'm
2 hearing mostly getting more crack data and
3 getting more wall thickness data. But I could be
4 wrong.

5 The very last topic is with respect
6 the weak chain in the link. It's the same
7 concept. Each joint segment is 44-45-foot long,
8 and you're looking for those few or this one
9 manufacturer that didn't make it the same way.

10 So, if the Committee could speak a
11 little bit more clearly to those technical
12 issues, I would appreciate it. Thank you.

13 MR. DANNER: All right. Thank you.

14 MR. KUPREWICZ: Rick Kuprewicz,
15 representing the public. I'm President of
16 Accufacts Incorporated. I've been involved in
17 too many failure investigations, many of them
18 involving inline inspection, failure after the
19 inline inspection.

20 I guess I'd comment I have a great
21 deal of respect for the Committee and the
22 discussions that are going on, but let's not lose

1 sight of all the effort that's been going on here
2 to date in terms of what PHMSA has done and the
3 past researches, and all that.

4 I think the two main objectives are,
5 have you established MAOP on your pipeline
6 system? Do you have the records to back that up
7 that you can defend? And then, if you don't, you
8 might want to consider, depending on the type of
9 threat that you're going to have on your pipeline
10 system, whether or not you want to use hydro
11 testing or various other methods.

12 And I've got to comment on some issues
13 here from my perspective. I cannot underestimate
14 or understate the importance of a spike hydro
15 test on certain types of pipelines that contains
16 certain type of threats, such as cracks that are
17 subject to pressure reversal.

18 It's no secret that we understand the
19 answer that many gas transmission pipelines do
20 not cycle as much as liquid lines, but we are
21 experiencing gas transmission cycle failures.
22 So, we've got to remember that. Okay? We've got

1 them in the wrong place. You're going to see
2 some more NTSB recommendations. So, let's not
3 lose sight of that.

4 The other thing is that some of you
5 major gas pipeline operations are operating your
6 systems, and the economic benefit of what you're
7 trying to do is changing pressure profiles of
8 reversals like you never did. You're operating
9 your systems entirely different than what
10 historically a lot of the systems have been done.
11 So, they are going to change the risk profiles.

12 You guys, I think, as responsible
13 operators, are going to stay ahead of that. If
14 you've got crack potential, you're going to look
15 at hydro testing as a viable test. I would love
16 to see inline inspection crack development
17 proceed to where it's highly reliable and can't
18 be messed up by people looking at it. All right?
19 But we're not there in some cases.

20 And I've commented in various other
21 meetings that, on inline inspection capabilities,
22 you need to make those results much more public

1 before you'll get buy-in for the public. Because
2 all they keep saying is, inline inspection runs
3 and, then, we seem to have a rupture failure.
4 It's not helping you folks any.

5 So, again, in the spirit of the way
6 the dynamics of the Committee work, the amount of
7 effort that PHMSA has put into this, including
8 sophisticated research on cracking failures and
9 things like that, I would ask you guys to try to
10 work like in the spirit of the DIMP development.

11 We had a lot of battles going on, but
12 we landed where we needed to be. I thought we
13 had it in integrity management 17 years ago, but
14 many of you are getting it right, but some of you
15 aren't getting it right. And that's why we're
16 here.

17 So, I would just ask everybody to kind
18 of look at what we're trying to accomplish here.
19 The NTSB has made some very serious
20 recommendations. Congress has a passed a law,
21 and you can go back and read it. I can't
22 remember it all; I look at so many of these

1 things. So, I can't recall it verbatim. But try
2 to get together in the spirit of cooperation and
3 let's land where we can stand in front of the
4 public and say, look, there are people trying to
5 get this thing and to deal with certain issues.

6 So, I'll just finish the speech there.
7 Thank you.

8 MR. DANNER: All right. Thank you.

9 Any other members of the public who
10 wish to speak on the item?

11 (No response.)

12 All right. Hearing none, I turn to
13 the Committee. I think because it is almost
14 4:30, rather than take on all the methods, why
15 don't we identify which alternative technology
16 and focus on that one for today?

17 MR. MAYBERRY: That was one that we
18 can kind of knock out. So, pick one.

19 MR. DANNER: I don't think we're going
20 to get through all six. So, what's your
21 druthers, Alan?

22 MR. MAYBERRY: How about alternative

1 technology?

2 MR. DANNER: How about alternative
3 technology? Okay? For 200.

4 (Laughter.)

5 All right?

6 All right. Andy? And remember, your
7 comments must be in the form of a question.

8 (Laughter.)

9 MR. DRAKE: Okay. It's getting late
10 in the day, I can tell.

11 Now alternative technology. Okay.
12 Well, I'll start with the bottom of my list.

13 I was actually planning on talking
14 about hydro testing. So now, I'm going to do a
15 little airspace here.

16 But I think somehow the alternative
17 technology one -- I'm going to get back to, yes,
18 that's Method 6. Actually, I was going to jump
19 to small diameter PIR. So, I'm going to pass if
20 we're going to alternative technology. I wasn't
21 ready for that one.

22 MR. DANNER: Okay. Alternative

1 technology, going once.

2 Chad?

3 MR. ZAMARIN: I'll take that one.

4 Chad Zamarin with Williams. I have
5 two comments.

6 One, I would propose that we adopt the
7 same no objection letter language in this section
8 as we did in the discussion on 607, because there
9 is a requirement to submit an evaluation of
10 PHMSA.

11 And then, I just question whether or
12 not the section on fracture mechanics modeling
13 belongs in this section of the code or belongs in
14 the integrity management section of the code.
15 I'd be curious to hear the rationale, whether or
16 not it makes sense to move that.

17 It's really a technique that I think
18 applies to an issue that's not just specific to
19 MAOP confirmation. So, I would propose that we
20 consider moving that to the integrity management
21 section. And that's Section (d).

22 Thank you.

1 MR. DANNER: All right. Thank you.

2 Other cards up?

3 (No response.)

4 All right. So, do you want to move up
5 the list from integrity management? Do you want
6 to do pipe replacement?

7 All right. Pipe replacement.

8 (No response.)

9 All right. Going once.

10 MR. MAYBERRY: How about a vote?

11 (Laughter.)

12 MR. DANNER: Alan wants a vote.

13 (Laughter.)

14 All right. We can move up the list.
15 Pressure test? All right.

16 Okay. Now we'll go back to Andy. The
17 same rules apply.

18 MR. DRAKE: Pressure test, for 100.

19 (Laughter.)

20 I do think that the spike test is
21 pretty straightforward here. We've had a lot of
22 conversations. I think that that was a

1 misapplication. I don't want to beat a dead
2 horse, but we're all for hydrostatically testing
3 with the spike test for cracks. I think that
4 makes sense. It's an integrity test. We've used
5 it many times. It's very appropriate.

6 But, for setting MAOP, just broadly,
7 not appropriate. It also creates a curious
8 disconnection with our current federal
9 regulations which require that pipes today that
10 we're building right now be tested without a
11 spike test. So, if somehow we're going to set
12 MAOPs on old pipes using a spike test, but new
13 pipes don't need one, someone has got to help me
14 with that. What are we trying to accomplish
15 here?

16 I think it was just a dislocation in
17 how this came across the transom from NTSB, and I
18 think we need to kind of reset. Spike testing is
19 a test for crack-like integrity issues. Subpart
20 (j), straight hydrostatic testing is appropriate
21 for MAOP. If you have a crack issue that you're
22 worried about and you're going to set the MAOP,

1 then go for the spike test, but it's not
2 universally applied for MAOP setting.

3 That would be my only comment. I
4 think that's actually pretty well understood by
5 PHMSA and others around the table.

6 MR. DANNER: Okay. Chad?

7 MR. ZAMARIN: Thank you.

8 Chad Zamarin, Williams.

9 A couple of comments that might not
10 get captured by just going through the methods.
11 The first one is I saw on the slide, Steve, that
12 there was a reference to a 20-year reassessment
13 on one of the slides, but I don't see that
14 language anywhere in the proposed rule. Was that
15 just an oversight or was that intentional? Do
16 you know?

17 MR. MAYBERRY: Your microphone is off.

18 MR. ZAMARIN: You just turned it off.

19 (Laughter.)

20 MR. NANNEY: There's a 20-year
21 reassessment. I'll need to go back and look at
22 which section it applies to.

1 MR. ZAMARIN: Okay.

2 MR. NANNEY: For MAOP verification,
3 it's not, of course.

4 MR. ZAMARIN: Okay. One of the
5 slides, then, may have confused it.

6 MR. NANNEY: Okay.

7 MR. ZAMARIN: I didn't see it in here.
8 So, I think I agree that I didn't see it in this
9 section, and I agree with that.

10 The other one that's not specific to a
11 technique, but I would just want to maybe put out
12 there is that. I want to be careful we don't
13 have this kind of do loop, because there is kind
14 of some language that says you must do one of
15 these methods if you don't have a valid pressure
16 test. But, if you do one of these methods, I
17 think it needs to be clear that you've, then,
18 done something equivalent to a pressure test.
19 So, you don't end up kind of back in the do loop.

20 MR. NANNEY: I think we had heard that
21 before.

22 MR. ZAMARIN: Okay.

1 MR. NANNEY: And I think we've already
2 corrected it.

3 MR. ZAMARIN: You corrected it? Okay.

4 Then, the comments specific to
5 pressure testing, I completely agree with Andy.
6 I think spike testing doesn't belong as part of
7 an MAOP establishment. I think subpart (j) has
8 been the gold standard for MAOP establishment for
9 as long as the code has been in effect.

10 So, I agree, though, with the comments
11 that the spike test is an important tool. I
12 think it's just that it's used in integrity
13 management for the management of very specific
14 threats, not for the establishment of MAOP.

15 And that's all I have on pressure
16 testing. Thank you.

17 MR. DANNER: All right. Thank you.

18 Cheryl?

19 MS. CAMPBELL: The 20-year comment was
20 on slide 51. Okay.

21 MR. WORSINGER: And that was slide 51
22 that Cheryl sent out to us originally. So, it's

1 probably like slide 53, 54.

2 MS. CAMPBELL: Okay. First of all, I
3 wanted to thank the gentleman that talked about
4 the spike test as an important tool and the
5 changing risk profiles. Because I do agree with
6 him on that.

7 I think a lot of people are struggling
8 with taking a spike test to 105 percent, so
9 beyond yield. And I'm not a materials scientist,
10 and I'm just going to admit that right upfront.
11 And you said it earlier, Steve, you're open to
12 suggestions and feedback on that.

13 So, I mean, I think the data that we
14 have, or some hard data that suggests where that
15 cutoff is, I don't have a problem doing a spike
16 test when I have those crack threats and those
17 crack issues. I really do not have a problem
18 doing that. I think it's an important tool, as
19 the gentleman from the public said, and as Chad
20 has said. But I would ask that we consider
21 something other than beyond yield.

22 I struggle with pushing it that far

1 and, then, leaving it in service, quite frankly.
2 So, it seems like we ought to be able to have
3 some data that will say, here's the right place,
4 where we can discover those cracks, but we are
5 not creating another issue and, then, putting
6 that pipe back in service. That would be my
7 comment about that.

8 MR. DANNER: All right. Thank you.
9 Sara?

10 MS. GOSMAN: Sara Gosman.

11 So, I wonder if PHMSA could talk a
12 little bit about why the spike test requirement
13 is in here. Because I understand that NTSB
14 recommended it, but I'm sure you looked at this
15 question. Why are we thinking about a spike test
16 here as opposed to just a straight-up pressure
17 test, as I understand it was?

18 MR. DANNER: Steve, go ahead.

19 MR. NANNEY: Okay. Well, I think if
20 you look at the language that we had for pressure
21 test, I think if you had a manufacturing-related
22 defect, construction, installation, fabricated,

1 or other crack or crack-like defect, what we saw
2 from what NTSB recommended, from what we saw at
3 San Bruno, it was a crack-like defect in a weld
4 seam that caused the issue.

5 So, we did not say that everything had
6 to have a spike test. It was a spike test where
7 you had cause to use one, was our intent there.

8 And I think what I've heard Andy,
9 Chad, and some say, is I think some of what
10 they've said and our intent here is very similar.
11 And we'll go back and look at that.

12 The same thing on whether you go to
13 105-percent SMYS or even you go to some factor
14 times your MAOP. If you're operating at a lower
15 MAOP, we agree going to 105 or 100 may not be the
16 answer. It may be going to 105 or 140 or 139.
17 So, with what we've heard, we will go back and
18 look at that. We think that is a sensible
19 solution to what we are hearing everybody say.
20 That gets everybody to the same intent.

21 MS. GOSMAN: Great.

22 And then, I guess the next issue I

1 would like to raise in our last less than half an
2 hour here, I would like to bring back in 607,
3 because I am wondering where it applies here. I
4 see it in ECA. But, for example, if somebody
5 does a pressure test, and that is a moment in
6 time in which they could gather some of this
7 information, does the rule require or allow for
8 that, given that we have taken out the general
9 applicability provision?

10 MR. NANNEY: Well, I'll give you my
11 thoughts when we were writing everything and
12 looking at it, and if I was the operator, what I
13 would do, and if I was a PHMSA inspector that
14 came out and looked later. Since I'll give you,
15 since I've sort of done some of all of it, I'll
16 tell you what my thoughts are.

17 It is, if you were doing a pressure
18 test, and, from what we've looked at, these are
19 not long mileages that an operator has. If
20 you're going to do a pressure test, first, you've
21 got to know, looking at the rule, most of it is
22 probably going to be Class 3 and 4 locations.

1 Some of it may be Class 1 and 2 because it's in
2 an HCA or something.

3 Also, if you go look at other parts of
4 the code, go look at 192.611 on Class locations
5 and Class location changes, you would have to
6 know is it an HCA in a Class 1 or Class 2, or has
7 it been upgraded to a Class 3 or 4. And it may
8 be that you got the right pipe, but you're not
9 sure of that.

10 So, PHMSA's expectation was, is you
11 would be going out and you would be cutting
12 manifolds to do the pressure test, if that's what
13 you were doing. Or, if you were running the ILI,
14 you would be looking at the wall thickness and
15 the grade information.

16 So, we would expect, before you go and
17 just put pressure on the line, that you would
18 know what your pipe is. We would expect you to
19 know the wall thickness, the grade, and
20 everything. I think a prudent operator would
21 definitely know that because you wouldn't want to
22 get at a pressure that, if you are having some

1 possible issues with cracking and everything, and
2 you were looking at 100-percent SMYS, or some
3 number, you would want to know that before you
4 pressure tested it.

5 So, when we were thinking of 607,
6 that's what we thought, was that these being
7 probably shorter segments, that that would be
8 part of the procedure for doing the pressure
9 test.

10 Also, in looking at other parts of the
11 code, when they go look at it to make sure
12 they're meeting it for Class location, you know,
13 to make sure you don't have Class 1 or 2 pipe in
14 a Class 3 or 4 location. And just tell you, that
15 was part of the issue we found with PG&E out in
16 California later. So, it is a real issue.

17 MS. GOSMAN: Do we need to add -- I
18 see you've got your cards up -- but do we need to
19 add a provision to this, now that we've taken out
20 the general applicability provision, that gets at
21 that issue? Or is there language in the rule as
22 it stands that would apply?

1 MR. NANNEY: You would have to add
2 language at this point.

3 MS. GOSMAN: Okay. Well, then, I
4 would suggest that we consider that language, for
5 the reasons that I heard.

6 MR. DANNER: All right. Chad?

7 MR. ZAMARIN: Thanks.

8 Chad Zamarin, Williams.

9 Sorry, now we're jumping around. I
10 need to collect my thoughts.

11 I like how crisp replace pipe is. I
12 would go back to the intent of the legislation,
13 the intent of what we're trying to do here. I
14 would propose that Method 1 pressure test only be
15 romanette i. "Perform a pressure test in
16 accordance with subpart (j)." I mean, at the end
17 of the day, what we were trying to accomplish was
18 to address pipelines that had not been previously
19 tested.

20 And I would remove romanette ii and
21 iii since those really relate to integrity
22 management activities. So, I just want to be

1 clear. That's my kind of thinking along those
2 lines.

3 Now, that being said, I did agree with
4 the comments around legacy pipe. I think just
5 putting in a term like that which is not defined
6 is going to open us up to a whole lot of
7 challenges. So, I think we need to correct that.

8 And then, I just continue to see kind
9 of all the references towards the types of things
10 that would drive you to use a spike test, just
11 not being in the appropriate place. It should be
12 in integrity management. Some of them aren't
13 even technically valid. I mean, a hard spot, you
14 know, we don't do spike testing for hard spots.
15 We do spike testing for stress corrosion
16 cracking. So, I just don't think it fits in this
17 portion of the code.

18 Thank you.

19 MR. DANNER: All right. Ron?

20 MR. BRADLEY: Thank you, Mr. Chair.

21 I think this is a real quick one. So,
22 I believe the intent is that in 192.624, at the

1 very beginning where it says, "The operator of a
2 pipeline segment meeting any of the following
3 conditions must establish the maximum allowable
4 operating pressure using one or more..." -- just
5 intending one, right?

6 MR. NANNEY: Yes, unless you wanted to
7 use more than one.

8 (Laughter.)

9 MR. BRADLEY: Okay.

10 MR. NANNEY: The reason we put that is
11 you might want to do -- let's say like what
12 Sara's comment was, if you had some material
13 issues, maybe you ran an ILI pig and you needed
14 to go pressure test, too. You might use it to
15 help look for wall thickness and things like
16 that. And you were using a combination of tools.
17 That's the only reason we put that. We weren't
18 saying you had to do more. We were just saying
19 that it was your decision.

20 MR. BRADLEY: Yes. So, just let me be
21 clear. It's not about trying to do the minimum
22 amount at all. It was just seeking a

1 clarification. Because I think, truth be told,
2 we do do more than required. We don't just do
3 the minimal.

4 MR. DANNER: All right. Sara?

5 MS. GOSMAN: So, I understand the
6 distinction between setting one operating
7 pressure and the reality of integrity management
8 over time. I guess what I see in this provision
9 is that we are extending to Class 3 and 4 here,
10 as well as moderate consequence areas. And I
11 think that IM doesn't cover some of these issues.

12 Because of that, I think, you know,
13 maybe this is not the right place, right? Maybe
14 there's another place you could put this. But I
15 think the material documentation and verification
16 that we need for this set of pipe is important to
17 the rule.

18 MR. DANNER: Chad?

19 MR. ZAMARIN: Chad Zamarin, Williams.

20 I think that's a very fair comment. I
21 would just offer that there is a section of the
22 legislation and of the rule that we haven't gone

1 through yet that's focused on extending integrity
2 management. And I would propose that extending
3 integrity management beyond the areas that are
4 currently applicable should be addressed in that
5 portion of the discussion and that portion of the
6 code.

7 Thank you.

8 MR. DANNER: Okay. No other cards are
9 up. Well, that's not true. Andy?

10 (Laughter.)

11 MR. DRAKE: I just put it up there,
12 waving it.

13 But I just want to follow up on your
14 comment a few minutes ago about queuing up 607
15 with the hydro. I think Steve's right, we've
16 talked about that. You would definitely need to
17 know diameter, wall thickness, grade. You need
18 to know enough to conduct a hydrostatic test on
19 that pipe successfully. And if we needed to add
20 that in here, I think that's appropriate, if that
21 kind of quells the concern that you have.

22 I think that I'm pretty strongly

1 convicted to separating MAOP and IM. And here,
2 we're doing MAOP. So, there are three or four
3 datapoints that we need. If we want to record
4 those in here, that's great.

5 When we get to IM, I think there's a
6 whole other tranche of data that you would need
7 if you went back to 607 for the integrity
8 management verifications. And we're going to get
9 into one of them here in a minute, when we get
10 into ECA kind of stuff. But I think that IM is
11 where the bulk of the data comes from, but it's
12 not exclusive.

13 MR. DANNER: Okay. It looks like that
14 has ended that part of the conversation. Do we
15 want to move on to anything else? This might be
16 the time to break? Okay. Break for the day?

17 So, sorry, we won't be talking about
18 ECA today, but I think we'll get there tomorrow.

19 Okay. So, this is a good time. Do
20 you have anything you want to say at the end of
21 the day, Alan?

22 MR. MAYBERRY: No, I think I'm good.

1 I would just like to thank the Committee for
2 great progress today.

3 MR. DANNER: All right. Then, we will
4 see you all tomorrow morning and we'll continue.

5 Thank you much.

6 (Whereupon, at 4:43 p.m., the
7 Committee adjourned for the day, to reconvene the
8 following day, Friday, December 15, 2017.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

A	
a.m 1:11 4:2 89:10 134:9	actual 43:15 46:14 65:8 141:22 172:4 175:21 189:5
ability 7:2 12:2 175:4	Acuna 2:12 189:20,20
able 19:14 37:14 42:18 56:12 63:16 73:11 106:2 123:5,12 133:2 201:11 234:5 253:19 253:21 270:2	add 12:4 14:2 24:1 35:6 43:7,9 78:20 84:10 117:6 125:13 144:15 157:9,17 193:10 223:9 231:15 274:17 274:19 275:1 279:19
above-entitled 89:9	adding 98:10 107:17 160:2 184:21
absolutely 59:9 86:3,9 108:20	addition 43:20 161:18 167:5 188:5 194:6 202:13
abstain 130:22	additional 20:4,5 22:22 23:2,4 24:2 94:8 111:20 112:11 129:4 129:7 151:2 161:16 185:14 188:14
accent 110:6	Additionally 193:3 250:16
acceptable 97:17 98:6 194:4 196:16	address 28:8 38:1 40:10 46:22 49:11 54:2,4 76:11 89:17 90:7 94:14 96:6 103:21 109:21 113:10 122:9 127:17 129:19 133:19 163:5 164:18 166:7 167:9,16 168:3 169:18,19 174:3 184:12 192:8 193:18 202:17 203:16 205:20 207:3,9 208:9 224:16 228:18 229:12 239:18 240:1 254:21 275:18
acceptably-short 177:5	addressed 31:18 47:16 64:6 66:10 106:15,19 121:6 153:5 205:17 279:4
acceptance 102:9	addresses 161:19 178:20 181:15 193:16
accepted 57:3	addressing 14:9 25:7 106:9 161:22 163:21 175:16 177:21 201:22 205:11 212:19
access 241:13	adds 106:12
accident 31:8 117:8 175:12 230:1,1	adequate 64:21 140:10 163:5 167:1 169:11 247:5 249:8
accidents 166:13	adequately 176:1
accommodate 53:6 112:9 129:5 139:10 163:12 253:19	Adjourn 3:19
accomplish 56:12 199:4 211:17 260:18 265:14 275:17	adjourned 281:7
account 175:3	adjust 149:11
accountable 75:18	adjusted 227:5
Accufacts 2:15 257:16	administration 1:3 24:17
accuracy 53:11 112:14 129:9	Administrative 3:2
accurate 194:13	Administrator 2:2,9 4:16 73:1 196:1
accurately 32:12	admit 269:10
achieve 56:5,11 98:6 100:6 200:2 212:2	adopt 180:7 193:19 202:9 263:6
achieved 172:7	advance 71:19 124:20
achieving 55:17	adverse 199:17
acknowledged 7:21	advertised 28:2
acknowledges 83:11	advice 13:1,17
acquired 47:2	advise 13:11
act 4:13 25:8 31:19 32:6 32:6 35:14,15,22 36:7 78:2 137:13 161:15 161:19 163:8 182:3	advised 13:12
action 15:22 19:11 36:22 37:4 71:13 72:6 222:7 223:14,15 231:17	Advisor 2:4
actions 35:18 37:5 166:2 167:8 173:9 224:7 234:5 237:17	advisory 1:5,9,12 2:10 4:9,13 5:16 6:6 7:8 11:5 18:12
actively 211:13	advocate 70:3
activities 47:13 70:14 183:12 275:22	advocated 167:4
activity 238:1	advocating 26:8 221:10
	affect 198:6
	affordable 58:20
	afternoon 67:9 135:5 135:14 136:5 187:18 191:19 197:16 200:15 249:14 252:11,11
	AGA 193:1 201:21
	AGA's 193:19
	agencies 83:2
	agency 13:11 83:9,18 84:22 120:18
	agenda 5:22 10:22 11:13 14:15 24:20 25:17 26:10 27:2,16 28:18
	aggressive 236:18
	ago 32:10 73:19 221:13 240:9 242:6 260:13 279:14
	agree 13:9 17:7,10,10 17:13 72:9 73:10,22 86:9 192:22 213:13 227:8 230:19 233:22 234:9 267:8,9 268:5 268:10 269:5 271:15 276:3
	agreeing 77:5
	agreement 13:4,5 17:8 19:9 86:3 97:20 102:20
	agrees 168:1 169:22 170:16 188:1
	ahead 4:6 29:3,7 61:19 67:8 70:22 78:10 100:16 134:19 187:17 191:18 204:6,18 230:14 249:13 252:8 259:13 270:18
	airspace 262:15
	aisle 55:6 187:17 246:16
	Alan 2:2 4:16 7:9 10:16 10:17,19 11:11 15:14 18:8 29:16 36:4 50:6 88:13 92:20 99:12 106:5 117:5 123:9 124:15 132:11 135:20 204:6 210:2 213:17 225:11 226:22 227:22 228:17 229:5,18 234:21 261:21 264:12 280:21
	Alberto 2:12 189:20
	algorithms 249:1
	Allen 1:13 8:11,11 125:22,22 131:22 132:1 209:7,7 210:1 219:7,7,17 225:5,5
	allow 7:1 27:18 48:7 49:9 51:8 52:12 56:7 80:8 91:18,20 111:2,9 128:12,18 146:12,20 163:15 164:4 165:15 174:11 177:13 179:20 180:5 234:10,11 245:2 272:7
	allowable 159:14 160:21 173:15 174:21 184:10 250:6 277:3
	allowed 49:10 79:21,22 137:18 164:14 166:4 174:14 192:14
	allowing 39:9 70:15
	allows 21:22 59:18
	alluded 34:2
	alter 69:20
	Alternately 160:11
	alternative 36:2,22 68:6 82:7,10,11,17 83:7,8 83:8,14 84:19 108:17 111:17 129:2 138:10 149:6 164:5,15 182:7 186:11 194:14 231:17 246:19 251:20 255:12 261:15,22 262:2,11 262:16,20,22
	alternatives 60:5 84:14 164:6 238:19
	Amal 2:4 11:6
	amazing 235:16
	ambiguous 220:16
	amend 165:6
	American 2:15 252:20
	amount 32:2 41:7 43:10 64:8 65:19 119:22 167:13 206:22 207:1 216:13 231:4 237:5 260:6 277:22

- amounts** 197:12
analysis 44:13 58:11
 148:8 152:13 170:4
 176:13 178:4,9
 179:13,22 181:22
 182:11,13 237:3
 248:8,10
analyze 119:13,14
 148:13 152:13
and/or 166:5 183:17
 189:8
Andrew 1:17 85:15
Andy 9:7 25:14 73:14
 73:15 76:10 107:3,4
 126:9 131:2 132:13
 133:10,12 217:10
 220:12 225:10 228:4
 240:4,5 262:6 264:16
 268:5 271:8 279:9
annual 33:12 64:16
 142:6
anomalies 38:6 58:2
 119:15 233:15 251:6
 255:10,11
anomaly 22:2 33:2 43:2
 48:1 79:15 112:12
 129:8 255:15
answer 78:14 84:7
 87:10 88:8 107:6
 120:19,20,21 123:8,9
 209:21 219:5 220:9
 226:21 228:16 234:14
 258:19 271:16
answered 225:6
answers 116:18
anticipate 132:22
anticipated 148:5
 229:21
anticipating 93:7
anxious 93:11
anybody 91:8 161:1
anytime 115:9 161:2
anyway 6:5 25:11 45:9
 50:12 133:6 134:21
 145:13
apart 185:20
API-5L 45:22 64:9
apologize 55:14
apparent 12:6
appeal 84:4,5
applicability 12:9 20:19
 20:21 22:9 48:15
 62:16 63:12 67:17
 77:20 78:18 80:16
 81:2,8,14 93:6,19
 95:8,12 96:1 101:14
 101:21 102:1 104:3
 104:19 105:5,11
 107:10 108:1 109:17
 109:22 113:21 115:9
 127:12,18 130:7
 155:9,11,12,20,21
 164:12,18 169:1
 170:8 185:22 186:3
 186:17 187:4,7,15
 192:1 204:21 206:2
 206:12,14,21 207:17
 219:22 227:5,19
 229:4 238:12 239:12
 272:9 274:20
applicable 49:11 51:9
 107:16 148:18 152:9
 155:16 159:6,17
 160:2 163:16 165:11
 184:21 193:5,14
 218:21 219:3,5
 253:10 279:4
application 47:21
applied 62:18 175:15
 178:5 183:8 198:22
 199:22 248:11 266:2
applies 109:10 127:9
 155:15 156:3,19
 159:14 165:4 178:8
 183:10 190:16 233:4
 263:18 266:22 272:3
apply 42:6,6 50:2 78:6
 90:12 101:16 102:6
 115:4 120:2 140:1,17
 141:8 153:2 159:20
 162:3 163:1 167:13
 167:18 168:3 170:7
 184:14,20 196:22
 220:21 248:19 249:7
 264:17 274:22
applying 81:12,21
 209:2
appreciate 11:9 13:16
 17:15 93:5 107:9
 124:16 192:7 201:5
 204:11 229:20 243:21
 255:6 257:12
appreciates 126:3
 175:11 196:11
appreciative 155:3
approach 13:6 35:2
 38:20 39:21 41:19
 48:5 52:4,11,13 56:7
 84:12 86:4 110:20
 111:3,18 115:15
 118:9 122:16 128:8
 128:13 129:2 139:19
 149:7 166:7 180:5
approaches 149:8
appropriate 24:19
 35:18 67:18 68:13
 86:7 110:2 127:20
 133:12 174:2 177:12
 177:13,18 194:14
 220:18 240:15 265:5
 265:7,20 276:11
 279:20
appropriately 24:5
 27:19 135:11 201:22
appropriateness 201:9
approval 82:14 84:16
 85:1,8
approve 82:11 97:18
approved 146:7,9
approximately 33:14
 142:14 162:4
arbitrary 173:8 176:16
area 120:12 143:16,17
 186:21 187:1 223:12
 223:13 224:21 233:21
 245:13
areas 19:16 20:13 21:1
 21:6,8,10,11,15 22:1
 22:9,10,11,12,18 23:6
 36:15 38:3 49:15
 69:15 70:22 101:3
 116:21 118:10,18,18
 119:12,16,17,19
 120:12 121:13 122:5
 122:9,19 123:12
 138:7 140:1,3 163:11
 164:7 178:9 183:20
 207:7 209:4 217:21
 222:6,20 223:4 238:7
 240:17 278:10 279:3
argue 119:2
argument 79:11 230:11
Arkansas 1:18 8:20
Arlington 1:10,10
aside 238:5,7
asked 6:8 123:13
 210:16
asking 43:1 74:22
 82:11 85:14 88:15
 99:18 120:16,22
 121:7 123:14 217:3
asks 115:13
aspect 59:14
aspects 52:2 53:4
 168:16
assess 117:17,21 208:2
 208:15
assessed 153:3 156:6
assessing 23:9 117:16
 122:2
assessment 21:4 38:21
 78:22 147:4 148:8
 164:5 169:7 171:1
 174:11 179:15 181:20
 208:3,4,8,19
assessments 22:16
 23:8 120:11 122:10
 140:12 169:5 224:1
asset 9:8 86:6,8 254:12
assets 58:7 60:17
 234:18
assignments 210:4
assistant 8:19
Associate 2:2 4:16
associated 22:17 73:1
 212:19
Associates 241:14
 247:10,14 251:19
Association 2:15
 252:20
assume 124:9 176:6
assumed 176:10
assuming 69:15 120:15
 176:9
assumption 75:16
 176:21
assumptions 69:14,20
 75:11 76:3 175:3,6
 252:2
assure 52:20 140:9
 179:13 180:17 185:7
ASTM 64:9
attaining 110:21 247:7
attendance 4:8
attention 132:13 253:4
Attorney 2:4
attributable 140:22
attribute 124:6
attributes 50:22 51:1,3
 51:4,6,9 67:17 69:6
 77:2 109:19 110:15
 127:15 128:3
audience 231:9
augmented 179:22
August 103:10
authorization 124:12
authorizing 83:4
availability 254:17
available 7:14 14:11
 60:6 61:12 248:12
average 40:18 41:2,6
 46:13
avoid 163:16 166:13
 256:22
avoiding 61:7
aware 6:19 45:8 66:6
 105:4
awareness 55:21
awfully 64:22
aye 130:22 131:3,5,7,9
 131:11,13,15,17,19
 131:21 132:1,3

B

b 2:15 50:14,17 52:1
110:8 123:22 127:21
182:7
B31.8S 146:15
B31G 43:5,12 123:1
back 10:17 14:14 18:19
19:11 29:3 31:6 34:16
39:13,13 40:12,20
43:1 44:7,14 52:21
72:11 78:15 84:6
88:10 89:11 93:13
94:8 95:3 98:8,17
104:21 106:8,17
108:1 110:4 114:7
125:17 126:16 134:10
134:22 136:1 137:8
139:14 154:10 161:1
161:4 172:12 190:1
190:13,20 201:7
209:8 210:6 216:10
217:13 219:21 220:10
221:22 224:8 225:8
226:17 227:4,15
228:6,13,17,18 231:1
231:14 235:6 236:3
236:10 240:8,13
243:11 246:2,5,8,12
258:6 260:21 262:17
264:16 266:21 267:19
270:6 271:11,17
272:2 275:12 280:7
backbone 60:20
background 58:10
bad 105:22 140:6
balance 210:12 213:18
213:19
ball 46:4 60:3 124:20
Ballroom 1:10
based 33:12 37:1 38:21
39:20 41:5 43:3 46:21
48:11,13 50:8,12
52:16 53:1 54:16
73:18 75:16 79:6
86:22 87:17 88:3
90:19 113:18 130:6
138:21 139:19,22
140:8 141:3,10,12,13
141:14,15 142:8
143:15 145:15 146:14
148:9,10 149:11
152:14 153:19 159:2
162:5 171:7,14 177:8
182:10 193:3,17
208:4
baseline 173:7
basic 52:1 124:10
139:19

basically 20:16 22:7
27:12 35:7 43:6 97:20
98:7 139:1 141:7
143:14 232:14
basing 95:9
basis 163:5 167:9
182:14,17 188:2
226:10
batch 215:5
Battelle 153:21
battles 260:11
Bayou 30:5
beat 265:1
began 20:8 222:1
beginning 28:21 277:1
begun 24:15
behalf 201:4
belief 214:22
belies 167:2
believe 60:9 68:8,10
81:3 91:3 124:10
188:11 189:9,14
190:10 202:15 205:9
245:5,9 276:22
believes 156:16 167:1
167:11 173:22 177:11
178:3 200:2
Bellemare 2:12 56:18
56:19 254:15,16
255:4,7
belong 222:12 268:6
belongs 263:13,13
benefit 57:19 161:17
229:12 245:14 259:6
benefits 57:20 189:10
best 49:19 83:7,11
104:12 132:15 146:21
242:15
better 22:4 26:7 53:5
59:18 71:4 73:17
118:4 229:13
beyond 84:18 102:15
112:6 119:11 121:12
161:14 206:10 209:4
224:22 226:6 269:9
269:21 279:3
big 35:12 41:20 45:5
57:5 58:6,8 102:3
137:10 230:19 256:18
256:22
bigger 28:10
billed 32:1
billion 198:21
binary 75:21
bit 26:2,7 34:15 57:9
154:14 190:13 211:8
215:16 220:10,20
243:11 254:8 257:11

270:12
black 231:19
blessed 30:13
Blowing 233:21
Board 8:21
Bob 131:16
body 176:14 177:17
183:17 251:22
bottom 230:11 262:12
box 61:4 103:12,13,14
Bradley 1:14 9:10,10
98:14,15 99:14 114:5
131:18,19 214:17,18
276:20 277:9,20
Bray's 30:5
break 89:4 105:16
134:6 136:16,16
246:2 280:16,16
breaking 185:19
Brian 2:17 187:19
bridge 58:15
bridges 30:4
brief 5:19 254:16
briefing 3:9,15 10:18
14:21
briefings 6:21
briefly 201:17
bring 17:21 62:7 122:5
132:12,20 201:19
272:2
bringing 224:8
brings 225:12 240:8
brittle 152:15
broad 101:20 104:19
162:9 230:3 242:21
broader 155:10 229:10
broadly 107:16 220:21
265:6
broke 89:13,22
broken 186:2
Brookings 1:18 8:6
brought 18:20 133:11
Brownstein 1:15 8:15
8:15 28:14,14 104:16
108:18 116:17 120:14
123:16 131:10,11
238:22 239:8 240:3
Bruno 31:8 36:13 37:3
45:5,9 49:20 74:10
138:14 175:12,13
271:3
bucket 64:20
budget 59:15 124:12
building 265:10
buildings 58:13 143:5
143:18
buildup 137:18
built 100:7 221:13

bulk 280:11
bullet 39:5 98:12 109:4
109:15 110:7,14
111:8,14 112:8 113:5
113:9
bullet-by-bullet 109:7
bullets 141:5
bunch 105:12
burdensome 71:3
Burman 1:15 135:13,15
135:16
burn 199:16
business 5:16 133:5
252:13
busy 83:1
buy 47:3
buy-in 260:1

C

c 52:1 110:15 124:1
128:2 137:21 181:11
181:12
C.J 2:17 67:9 249:15
calculate 171:6
calculations 45:11,11
48:2 99:3,20 176:11
182:1 226:18 252:3
calibrated 112:16,21,21
129:11
California 274:16
call 7:7 8:1,3 24:9 30:5
94:10 110:5,10
130:21 132:13 139:19
149:14 230:4 253:4
called 12:11 110:11
122:4 138:3 202:15
221:16 242:8
calling 17:6
calls 66:8
Cameron 2:9 10:3
130:18
Campbell 1:16 9:13,13
85:12 86:17,20 88:9
131:6,7 213:5 214:8
214:10 229:1 233:6
268:19 269:2
cancel 29:17
canceled 29:15
canceling 30:20
CAOs 228:5
capabilities 259:21
capacity 145:2
capture 170:3
captured 266:10
captures 114:3
capturing 120:10,11
carbon 44:20 63:12
69:16 75:15 176:18

- card** 7:22 76:9 96:3
100:10 121:15 122:13
252:13,13
- card's** 72:8
- cards** 92:16 204:14
245:22 264:2 274:18
279:8
- care** 60:22
- careful** 70:2 237:9
245:1 267:12
- Carolina** 1:22
- cart** 226:20
- cascade** 133:16
- case** 58:15 69:12 112:5
125:5 241:21
- cases** 151:22 156:19
169:16 170:16,21
176:9 179:18 181:17
211:15 212:3,21
259:19
- CASTILLO** 2:3
- cat** 104:2
- catastrophically** 237:7
- categorically** 239:19
- categories** 140:4
- category** 195:16 229:4
229:8 232:18
- caught** 74:9
- cause** 224:10 237:7
247:12 271:7
- caused** 145:9 171:10
221:17 271:4
- causes** 162:15
- causing** 229:6 245:12
- caution** 64:15 249:5
- center** 58:12 244:8
- cents** 60:14
- certain** 20:18 21:1
48:16 63:21 65:6
71:17 77:2 162:15
174:8 203:16 208:7
249:20 255:3 258:15
258:16 261:5
- certainly** 14:6 68:7 93:5
102:11 106:17 117:15
118:12 119:1 121:1
123:18 125:5,6
201:12
- cetera** 81:6 185:22
- Chad** 2:1 9:2,4 69:2,3
72:10 85:15 94:10
96:2 100:14 115:5,22
116:1 119:6,7 122:17
125:12 126:18,21
131:4 204:15,18,19
207:21 210:14 213:13
221:6,7 225:6,12
228:4 234:22 236:12
- 236:13 244:20,22
263:2,4 266:6,8
269:19 271:9 275:6,8
278:18,19
- Chad's** 73:22 75:13
206:17 215:9
- chain** 257:6
- chair** 1:11,12 4:19 6:14
7:6 9:2 10:1,15 11:1
11:11 14:15,18 25:13
26:15 27:1,5,11 28:6
29:1,6,11 55:2,9
56:16 61:18 66:1 67:6
68:20 71:16 72:3,7,18
73:2,6,8,13 76:8
77:16 78:8,10 83:16
84:9 85:10 86:15,18
89:2 135:1 213:5
229:1 276:20
- chairman** 4:18,21 7:5,5
16:11,13,15 24:1 55:1
98:16 115:21 136:2
185:9,15 214:18
- challenge** 58:8 231:18
- challenges** 58:18
231:16 233:15 276:7
- challenging** 88:20
- chance** 26:10,13
133:13
- change** 17:8,14 19:9
22:21 57:7 102:3,21
167:4 185:3,6 191:22
206:2 259:11
- changes** 17:16 50:16
51:22 54:22 67:12
127:7 142:2 155:21
273:5
- changing** 156:13
172:11 180:16 259:7
269:5
- Channel** 30:3,7
- channeling** 237:11
- characteristics** 32:13
86:6
- Charpy** 44:8 92:4
176:19 177:16 251:17
251:20
- chart** 106:3
- check** 105:22
- check-the-** 61:3
- chemical** 33:9 44:18,20
45:21
- chemistries** 60:4 66:19
- chemistry** 45:3 46:16
46:18 63:9 66:17
69:11,14,18
- Cheryl** 1:16 2:10 9:13
11:2,4 15:12,18 17:18
- 85:11 86:15 98:18
131:6 213:4 228:22
233:2 268:18,22
- Chief** 11:7
- chipping** 121:4
- Chittick** 2:13 194:20,21
- choose** 164:13 168:13
- chooses** 6:16
- chosen** 28:3 168:9
- Chris** 2:7 10:13 15:6
136:16 154:14 236:16
- circle** 216:3
- circumstances** 54:10
71:11 113:15 130:1
229:10
- citizens** 37:2
- city** 1:21 9:18 243:19
244:14
- claim** 211:19,20
- clarification** 19:22 20:6
85:14 157:18 158:14
168:7 175:19 196:13
278:1
- clarifications** 19:13
22:14 98:20
- clarify** 47:12 72:14
85:20 107:21 108:10
109:9 113:20 127:8
130:7 158:12,20
159:20 170:2 173:2
173:12 184:3 188:15
204:20
- clarifying** 88:15 160:1
184:19
- clarity** 164:21
- class** 25:10 32:8 33:15
33:19,20 34:4,7,7,8,8
34:9,13,13,14,15 36:6
64:21 87:8,9,12,12,13
87:19,21,22 88:1,3
101:19,20 116:21
117:10 118:18 121:13
122:5,18 137:17
140:2,19 141:10
142:2,10,11,13,17
143:1,3,3,5,8,11,15
143:16 146:5 147:14
148:2,19 154:8
156:21,22 159:6
161:20 162:18 163:17
170:5 188:10 200:19
209:3 215:22 216:22
222:19 223:12 224:18
253:10 272:22 273:1
273:4,5,6,6,7 274:12
274:13,14 278:9
- classified** 45:6 244:6
- clause** 34:2 36:11
- 138:16 141:6 142:12
144:9,15
- clean** 98:2 102:12
103:18 208:20
- clear** 28:9 44:7 62:21
66:15 78:3 79:10 86:2
88:13 109:13 157:6
196:21 197:7 206:3
207:8 212:1,16
233:20 234:9 243:12
243:16 267:17 276:1
277:21
- clearly** 159:16 168:13
248:17 257:11
- clerical** 156:12
- clicker's** 18:17
- Climate** 8:16
- close** 90:21 231:17
232:3 236:7
- closer** 23:15 239:6
- closest** 118:10
- closing** 231:20
- closure** 102:16 103:7
- coating** 45:13 59:12
- code** 37:21 38:22 39:13
39:14,18 42:11,16
45:13,15 49:5,7 67:18
68:3 70:15 71:1 88:12
94:19 100:19 102:3
109:20 119:16,21
120:13 123:4 127:16
137:1,4 138:22 142:3
146:8,14 177:2 189:1
190:9 201:8 202:12
205:7,15,18 208:2,13
212:15 218:19 221:20
221:21 226:14 241:1
243:6 263:13,14
268:9 273:4 274:11
276:17 279:6
- cold** 154:3
- collaborated** 194:8
- collapse** 58:12,15
- collect** 69:18 75:4,10
77:12 99:15 275:10
- collected** 69:6 70:13
99:16 133:14
- collecting** 69:8 70:5,16
- collection** 70:4
- collection's** 70:4
- collectively** 80:13
- combination** 42:16
98:22 255:11 277:16
- combinations** 85:22
86:1
- combine** 168:16
- combining** 255:18
- come** 13:3,5 42:18 45:2

- 45:11 46:13 56:7
58:10 76:12 91:21
93:13 95:3,21 97:5
98:5,8 102:16 103:1
106:17 108:1 110:4
112:2 190:10 207:2
210:6 227:15 232:9
243:5 246:2,5,15
comes 59:7 82:20
93:20 280:11
comfortable 108:2
coming 16:7 25:3 28:10
66:2 67:5 190:5,12
217:4
commensurate 195:21
comment 6:22 55:4
65:3 66:6 67:8 70:19
74:17 80:11 92:22
93:21 94:14 156:8
157:4,19 158:11
159:1,13 168:22
169:22 175:11 180:4
181:14 185:13,14
187:3,10 195:4 197:4
203:4 206:17 210:15
211:6,6 213:3 228:21
244:22 246:13 252:21
255:2 257:20 258:12
266:3 268:19 270:7
277:12 278:20 279:14
commented 48:6 156:2
259:20
commenter 155:13
160:9 161:5,13 162:6
162:22 163:7 164:3
164:17 165:19 166:17
167:5,15 168:6,15
169:10,20 170:2,9
171:5 172:2,16 173:1
173:19 175:1,18
176:12 177:19 178:16
178:22 180:7 181:9
181:21 183:6
commenter's 182:22
commenters 90:3
comments 5:17,21 6:1
7:3,20 34:17 48:3
62:15 68:19 69:1
73:22 97:2 98:18
149:10 151:4 154:9
154:19 155:6,19
166:15 180:20 181:2
182:19 183:5,14,15
183:17,22 186:17,18
186:21 187:14,22
192:17 194:9,15,17
194:22 196:1 201:2
201:11,21 202:14
- 204:3 205:20 206:11
206:14 213:10 246:15
250:14 254:20 262:7
263:5 266:9 268:4,10
276:4
Commission 1:13,14
1:16,21 4:21 8:13
9:21 126:1
Commissioner 135:13
135:15
commitment 120:2
240:14
committed 188:7
committee 1:5,9,12
2:10 3:3 4:9,13,18 6:7
6:7,12 7:1,2,8,18,19
11:5 12:20,21 13:3,9
13:15,17 15:21 16:7
16:12,13,15,18 17:5
17:22 18:4,13,20
21:13 24:11 27:7,10
27:21 32:20 43:17
47:10,15 48:4,11,12
50:8,12,20 51:21 53:1
53:2 54:1,20 62:9
68:19,22 69:1 78:17
79:6 80:11 93:16 94:1
97:2,5,13,16 105:1
106:18 108:16 109:21
127:17 132:16 133:3
133:9 155:1,4 183:19
185:16 186:14,22
192:8 193:8,19
197:21 200:5 204:14
228:18 231:9 247:20
254:10,21 257:10,21
260:6 261:13 281:1,7
Committee's 180:20
committees 5:16
commonly 192:5 194:7
community 256:14
companies 2:1 9:5
197:1 234:8
company 2:16,19 83:19
190:21 197:19 200:17
200:18 201:4 203:8
comparable 46:22
254:11
compared 145:2 229:11
comparison 198:2,22
199:22
compelling 170:12
competence 52:17
54:16
complete 5:15 47:19
51:13 101:18 114:21
157:22 170:10 176:2
199:9 238:11
- completely** 168:19
173:8 268:5
completion 166:16
167:6,17,17 184:13
184:13
complex 199:9
complexity 168:21
201:5
compliance 151:6
157:7,8,10,15 183:11
188:16 228:5
complicated 98:1 102:8
103:19
complies 157:16
comply 88:18 142:3
156:20 183:13 198:8
198:18,19 201:8
228:7
complying 200:12
components 39:16
composition 45:21
comprehensive 175:9
compression 192:20
compression-type
192:19
compressive 192:6
comprised 49:16
compromised 181:16
computer 50:10
Con 2:19 197:20 198:3
198:7,10,14,20 199:3
199:14 200:1,5
210:12 213:10 230:16
concentrating 36:8
concept 218:7 233:8
256:13 257:7
concepts 122:9
concern 21:2 22:1 28:6
39:3 82:19 84:16 93:5
102:7 103:17,21
107:10 157:6 164:19
190:7 199:21 207:5
207:13 208:18 220:15
224:11 225:21 233:3
244:2 279:21
concerned 84:21 108:7
161:13 166:17 198:14
199:7 220:20
concerning 85:9 192:8
193:1
concerns 3:2 14:9 62:2
63:8 85:6 114:10
140:5 168:15 193:3
239:18
concise 97:11
concluded 247:2,10
conclusions 76:5 243:3
conclusive 193:17
- concur** 188:5
concurs 155:16
condition 102:9 117:1
118:7,17 119:3 122:7
124:1 126:6 141:19
174:19 177:17 224:9
conditional 97:20 98:1
103:8
conditioned 80:12
conditioning 103:17,22
conditions 99:7 152:17
174:9 277:3
conduct 31:12,15 32:7
254:1,2,3 279:18
conducted 165:16
170:13 182:17
conducting 138:4
217:18
confidence 89:8,18
90:4,9 100:6 113:19
128:16 130:6 177:10
236:9
configure 139:10
confirm 32:14 138:5
158:14 217:19
confirmation 50:1
68:16 74:2,4 165:22
171:16 207:8 222:3
255:9 263:19
confirmed 35:20
152:20
confirming 25:9 166:9
224:13
conforms 179:8
confused 267:5
confuses 210:22
confusion 168:21 202:5
Congress 32:5 36:21
37:4 123:10 125:6
167:3 260:20
congressional 116:19
139:20 161:15 163:4
163:15 174:17 178:21
179:8 198:4 217:17
218:1
conjunction 174:14
179:12
connect 243:9
connected 199:12
connects 244:14
consensus 97:19 98:6
consequence 119:16
119:20 122:19 163:11
164:7 209:4 222:20
223:12 278:10
consequent 140:3
conservative 44:16
69:14,20 75:16 76:2

161:6 175:3,5 176:16
176:21 177:3,4,11,15
251:16,20 252:2
consider 7:3 16:20
18:13 24:10,11 48:13
50:20 51:21 52:1 53:2
54:1 66:16 67:2 68:1
71:5 78:6 80:13 97:1
120:1 156:13 159:11
167:7 177:12 182:5
183:19 185:16 186:14
191:12 197:22 200:6
200:6 206:1 217:8
220:17 227:14 228:14
234:3 244:11,18
249:17,18 250:16
252:1 254:11 258:8
263:20 269:20 275:4
consideration 56:15
57:8 99:16 154:22
222:22 247:6
considered 37:17 42:1
165:8 170:14 174:15
244:3,16
considering 15:22 16:4
24:20 36:20 47:11
51:22 107:2 139:18
166:21
consistent 104:22
155:12 170:22 172:13
250:14
consistently 175:14
Consolidated 2:19
197:18
constructed 144:18
145:11,12
construction 36:18
139:7 140:9,22
145:13,17 162:16
192:10,13,17 193:12
193:20 194:3,5,11
197:6 199:10 201:18
202:1 209:13 211:1
237:22 241:3 270:22
construction-related
161:10 165:1,7
171:11
constructive 26:5
constructively 242:19
consultant 55:13
Consumers 2:12
189:20
contained 22:20 161:15
contains 258:15
contemplated 173:5,14
contemplating 23:3
contemporary 162:10
CONTENTS 3:1

context 21:22,22 31:17
50:16 51:21 59:20
61:7 133:20
contingent 97:19
continue 20:12 68:14
81:16 120:5 121:6
180:18 238:2 276:8
281:4
continued 181:18
continues 74:15
continuing 70:3
continuous 172:6
contravene 199:18
contribute 245:18
control 19:12 112:7
136:12
controversial 23:6 24:8
conveniently 123:6
conversation 6:11
25:22 26:11 27:13
28:16 34:21 99:5
133:15 187:7 192:2
221:10 229:22 239:2
240:7,11 242:6
280:14
conversations 7:18
264:22
convicted 280:1
cooperation 261:2
coordination 166:21
corner 25:5
correct 156:17 276:7
corrected 268:2,3
correction 170:1
corrective 166:2 208:4
222:7 223:14,15
224:7
correctly 214:2,3
corresponding 75:3
155:11
corrosion 19:12,16
45:15,16,18 49:17
79:16 117:16,17
154:4 159:12 169:17
210:19,21 211:2
212:8 241:17 250:1
276:15
cost 16:5 29:2 34:18,21
40:10 57:18 59:11
198:17,19,20 199:1
212:18 213:11 229:11
229:14 234:2 239:4,9
cost- 17:11 213:16
238:14
cost-effective 60:12
127:6 239:18
costly 231:3
costs 161:16 189:12

Counsel 11:7
count 216:4
country 117:2 189:15
203:10 233:16
county 1:18 8:6,8
couple 4:22 20:2 27:2
62:3,6 63:19 64:13
108:19 114:1 133:21
210:4 211:15 249:16
266:9
couplings 194:7 202:14
202:17 203:1
coupons 79:10
course 22:18 39:7
50:17 51:18 58:14
59:1 117:7 122:10
137:9 229:22 230:6
267:3
court 252:14
covenant 111:6
cover 4:22 12:14 31:2
185:18 278:11
covered 12:13 93:7
96:19 100:4 185:12
227:11
covering 122:4
crack 44:12 145:9
148:4 151:16 178:11
181:15 182:18 210:20
257:2 259:14,16
265:21 269:16,17
271:1
crack-like 147:18
152:12 169:17 177:22
265:19 271:1,3
crack-related 177:16
cracking 38:5 45:17,17
79:17 151:17 169:17
170:17 171:12 178:5
210:19,21 211:3
212:8 250:1 260:8
274:1 276:16
cracking- 145:17
cracking-related
162:17
cracks 147:17 148:13
152:11 154:4 177:21
182:11 258:16 265:3
270:4
crafted 62:1
create 74:2 78:1 84:13
168:21 202:4 224:6
242:20
created 18:10
creates 181:8 265:7
creating 71:2 84:22
110:9 127:22 270:5
credit 64:17

credited 165:17
creep 245:2
creeping 245:10,13
cripple 37:13
crisp 275:11
criteria 22:17 65:6
90:11 109:17 122:11
127:12 156:2 157:3
160:14,20 161:12
164:12 165:13 170:8
171:22 184:8 237:1,2
238:4 243:5 256:12
criterion 253:13
critical 78:22 147:4
148:7 164:5 169:18
177:6 179:14 188:2
248:13
Criticality 174:11
cross-reference 155:7
155:9,14
cure-all 249:6
curious 263:15 265:7
current 16:17 43:20
45:13 47:19 57:16
180:12 190:9 241:5
247:16 265:8
current-day 198:21
currently 38:9 167:21
176:10 184:17 189:6
243:6 279:4
customers 198:21
199:11,15 203:8
cut 5:21 79:10 146:9
214:21,22
cut-out 37:18
cutoff 244:1 269:15
cutting 37:17 273:11
cycle 258:20,21
cyclic 151:16 152:1
cycling 48:7

D

d 74:17,18 86:16 99:10
99:11 128:7 138:3
156:11,20 160:18
178:17 184:6 263:21
Dakota 1:19 8:7
dangerous 237:22
dare 119:2
data 33:13 34:6 39:22
47:22 56:10 67:14
69:8,18 70:3,4,10,13
70:17 74:16 75:2,16
76:14 77:7 114:21
141:3 142:6 176:20
179:12 188:19,21
210:18 213:6,7,20
233:7,7 241:13 255:9

256:22 257:1,2,3
269:13,14 270:3
280:6,11
databases 153:22
datapoints 280:3
datasets 248:12
date 71:8 159:19 160:4
160:7 166:19 170:14
170:18 173:6,7,17
188:13 258:2
dates 23:2 167:6,17
184:13
Dave 194:20
David 1:11,12 2:13 4:19
109:2 131:8
day 11:20 17:3 21:6,13
105:15 112:3 118:14
136:18 212:10 233:21
262:10 275:17 280:16
280:21 281:7,8
days 52:19,19 71:17,19
72:1,2,11,19 73:11
84:1 111:17 114:9
129:1 137:20 180:9
180:16,17 185:7,7
de 171:15 212:17 237:5
dead 265:1
deadline 82:22 83:6
deadlines 151:7
deal 23:7 26:13 54:7
83:17 93:11,18,19
94:21 102:17 104:4
104:12 113:12 129:21
186:16 205:6 240:1
257:21 261:5
dealing 19:20 22:13,20
102:14 117:10 118:1
230:3,9 256:9
deals 20:15
dealt 230:1
decades 44:1 212:7
December 1:8 281:8
decide 96:7 102:6
decided 95:15
decision 16:11 59:18
84:8 277:19
decisions 75:5 86:7
deck 155:3 190:1
201:17 255:13
declare 11:20
decorum 5:15 6:9
dedicated 212:7
deem 36:22
deemed 14:5,6 180:8
default 37:9 177:4
defaults 177:3
defect 145:10 147:18
152:16 161:10 171:11

171:11 270:22 271:1
271:3
defects 36:18 42:15
139:7 140:9 141:1
145:18 148:4,14
152:12 162:17,18
165:1,7,13 169:17
177:22 178:11 182:14
210:20 241:4 250:1,3
defend 258:7
Defense 1:15 8:17
28:15
deferred 19:11
deficiency 99:2
define 67:19 75:2
248:18
defined 156:2 194:2
218:9 276:5
defines 74:19
defining 67:16 85:19
definite 175:16
definitely 67:11 228:11
273:21 279:16
definition 22:22 89:20
90:6 142:18 192:9,13
193:2,4,15 194:11
225:1 244:7
definitions 143:15
193:11 202:4,7,8
delay 6:11 95:22
delete 36:10 48:14 54:3
110:8 113:9 127:21
129:18 138:16
deliberate 25:2 221:4
deliver 37:14 63:16
demonstrate 158:9
166:3 181:18 237:13
demonstrated 171:19
demonstrates 177:15
237:4
demonstrating 205:13
dense 199:5
dent 256:18,18
Department 1:1 247:1
departure 42:4
depending 87:16
176:22 233:14,15
258:8
depends 159:4
deploy 226:19
Deputy 2:9
derail 28:18
derate 195:19
derating 195:16
Deria 2:4 11:6,6
described 100:5 160:7
163:22 177:19 204:9
descriptive 97:4

design 42:11,19 45:10
designated 2:3 4:14
6:14
designed 208:14 250:2
desire 52:10 84:13
desires 171:21
destination 126:16,17
destructive 39:10,13
48:21 53:9 69:22 80:8
92:3,11 111:9 128:19
detail 82:1 192:16
detailed 194:14
details 13:6 77:14
147:11 209:14 217:16
219:1
determination 42:14
76:13 137:10,22
147:12 157:5 158:13
158:15 165:18 226:18
232:6
determinations 182:2
220:18
determine 31:13 35:18
50:21 54:7 84:20
101:4 113:12 129:20
148:15
determined 138:12
174:19 182:8
determining 92:14
165:13 182:14 184:21
develop 12:22 48:7
50:14 75:18 175:8
240:22 249:1 254:2
developed 52:14 54:13
57:11 84:14 110:17
128:5 196:20 249:21
256:13
developers 56:21
developing 84:22 182:4
development 8:8 151:9
211:21 259:16 260:10
device 137:19
devices 5:12
devil 217:16 218:22
diameter 42:12 51:14
144:20 149:3 156:1,4
195:1,7,12 196:4
214:13 215:4,5
230:17 244:5,5
246:19 252:21 253:3
253:7,8,12,18 254:12
262:19 279:17
Diane 1:15 135:13
different 18:11 21:8,10
87:12,13 90:15 94:19
105:8 171:22 185:20
222:8 227:12 233:12
236:10 242:7,9

250:17 251:12 255:22
259:9
differential 213:11
difficult 21:6 248:15
difficulty 239:10
dig 39:1,2 40:5 77:7
237:20
digging 57:17
digs 49:15 61:15 98:22
diminishing 161:17
DIMP 242:7 243:7
260:10
DIMP- 231:5
direct 38:21 160:12
direction 5:7 13:10 97:5
124:8 126:8
director 2:4,6 8:7,11
9:17 10:9 15:9 61:21
196:10 248:4
Directors 8:21
dirt 59:12
discernible 247:3
disconnect 199:8
disconnection 265:8
discontinued 40:8
discover 270:4
discrepancy 64:18
discuss 19:15 22:16
67:21 68:17 95:22
101:4 108:21 154:19
180:19 186:10
discussed 19:11 20:3
34:18 57:14 58:9
78:17 96:18,22 110:1
127:19 162:1 177:20
180:18
discussing 103:11
121:20 122:20 132:19
175:18
discussion 11:22 12:1
15:1 20:9,12 21:8,21
26:5,18 28:5,11 29:2
42:21 48:12 50:8,13
53:1 59:20 81:7,12
90:2 93:2 97:9 102:15
103:9,22 108:11
120:5 126:13 130:15
132:14 154:20 185:20
185:21 186:1,3,22
204:13,21 217:3
220:19 225:18 226:3
228:12 232:3 235:8
242:5 243:10,21
254:22 263:8 279:5
discussions 73:18 78:7
146:3 201:13 257:22
dislocation 265:16
disputes 118:12

disruptions 5:12 251:9
disruptive 6:16 237:21
distinction 144:19
 158:12 278:6
distress 241:8
distribution 12:14 50:3
 62:20 109:11 127:10
 193:6,14 199:11
 200:17,21,22 244:8
disturb 6:12
divided 148:1,18 159:5
divisions 87:16
DNV 2:14 153:21
 246:21 250:15
docket 6:2 7:9,15
 192:17 194:10 204:4
 204:5,9 215:20
 251:18
document 74:3 75:7
 82:3 145:20 160:21
 183:10 184:9
documentation 20:10
 20:13 21:12 31:1
 32:17 34:20 41:10
 47:14 50:21 87:6
 101:18 127:5 137:8
 140:10,20 145:22
 146:5 148:12 170:11
 175:9 188:14 278:15
documented 51:3
 176:1
documenting 33:7
 51:13
documents 106:14
doing 37:13 38:19
 40:11 41:2 49:4,15,19
 57:5 59:14 60:3 63:5
 63:6 65:12 66:7,8
 67:15 69:21 80:19
 82:4 83:11 103:3
 124:14,14 139:12
 141:21 146:22 151:2
 151:19 208:6 211:11
 215:20 224:22 225:15
 225:16 237:10 239:15
 240:14,18 249:3
 255:15 269:15,18
 272:17 273:13 274:8
 280:2
dollars 198:22
Dominion 2:17 187:19
 187:21 189:6
door 5:3 248:8
doors 5:9
DOT 14:4 189:1
downtown 143:17
dozen 94:16
dozens 212:6

DR 254:15 255:4,7
draft 16:21 104:21
 127:3
Drainage 1:19
Drake 1:17 9:7,7 25:13
 25:14,14 26:21 27:22
 73:15,15 77:10 107:4
 107:4 131:2,3 133:11
 133:12 217:10,10
 220:13 225:12 240:5
 240:5 262:9 264:18
 279:11
drawing 202:21
drawn 243:3
dresser 194:7 202:17
drive 47:13 212:2
 276:10
driver 205:3
drivers 205:8
driving 70:13 161:16
 212:11
drop 53:11,15 110:15
 112:14 113:1 128:2
 129:9,13
DRUE 2:9
druthers 261:21
DTE 193:1
ductile 152:15
due 112:6 147:16 161:9
 164:22 170:17 208:7
duplicates 184:4
duplicative 158:3,6
duration 153:11,16
 196:15
dwellings 142:19,22
 143:2,4 145:1 216:7
dynamics 260:6

E

e 1:13 44:19 156:14
e.g 129:7
earlier 36:5 50:6 93:2
 109:9 112:4 122:17
 137:9 141:4,22 142:9
 146:11 148:20 151:8
 269:11
early 29:15 132:9 134:5
 155:4 186:11
earmark 25:16
ease 10:21
easier 186:8
eastern 203:9
easy 30:8 57:6
ECA 148:8 151:19
 164:4 174:14,18
 175:18 176:12,13
 178:3,10,13,15,18
 179:1,7,11,18,22

182:10 186:13 246:18
 248:5 250:17 251:2
 251:15 252:3 254:1
 272:4 280:10,18
echoing 217:13
economic 119:2 124:4
 210:11 236:3 259:6
economically 35:17
 59:8,9 91:13
Economist 2:3
Ed 210:12 230:16
Ed's 213:10
Edison 2:19,19 197:18
 197:20 198:10,14,20
 199:3 200:1,5 256:17
Edison's 198:3,7
 199:14
edits 13:8
effect 139:1 268:9
effective 17:12 160:7
 166:18 173:6,7,17
 179:15 213:17 238:15
effectively 183:2
effectiveness 16:6
 55:22 138:13 178:14
 179:10 182:10 247:4
effectual 175:14
efficient 60:17,18,18
 71:9
efficiently 69:19
effort 172:18 212:18
 226:8 258:1 260:7
efforts 168:16 201:13
eGov 7:15
eight 116:5 151:11
 153:17 172:5
either 28:20 30:16
 35:10 42:17,18 53:9
 111:9 128:18 138:10
 142:21 147:14 153:9
elaborated 192:16
elect 39:12
electric 194:6 199:12
 199:14,20
electronic 135:8
elements 70:10
elephant 116:11
eliminate 5:12 50:13
 169:13 193:13
eliminated 194:13
eliminating 249:19
ELOISE 2:3
elongation 33:8 44:3
eloquently 203:12
emergency 5:6 8:7
 63:22 66:8
emphasize 60:2 256:20
emphatically 238:4

Enbridge 1:17 9:9
 25:14 73:15 107:5
 217:11 240:6
encompasses 192:13
encourage 56:6 58:21
 193:18 238:2
encouraged 61:22
 178:22 180:7
encourages 196:2
 200:5
ended 280:14
endless 98:22 181:8
energies 242:2,14,18
energy 1:14,16,20 2:12
 2:17 8:16 9:14,17,21
 177:16 187:19,21
 189:6,21
engineer 60:8 254:20
engineering 2:6 10:12
 61:21 78:22 147:4
 148:7 164:4 174:10
 175:2,5,8 179:14
 188:2 196:10 248:4
 256:13
engineers 57:10
enhanced 149:5
enjoyed 134:12
enshrining 117:4
ensure 32:12 42:3 69:8
 86:8 188:3 196:2
ensuring 67:13 224:9
entertain 29:11 97:8,10
 97:16 114:15
entire 88:5 119:14
 120:9 162:2 166:9,12
 198:3,9 255:20
entirely 160:10 259:9
entrepreneurs 57:11
environment 199:6
environmental 1:15
 8:17 28:15 119:3
 124:5 199:17,19
 251:8
environmentally
 237:21
equal 138:12 144:6,12
 153:3 178:13 179:10
 182:9 253:17
equally 179:15
equations 43:2 123:2
equipment 46:16
 112:16,20,20 129:11
equivalence 44:21
 174:17
equivalencies 69:16
equivalent 36:3 63:12
 75:15 174:15 267:18
Erin 2:15 252:19

error 156:12
ERW-type 154:4
especially 25:7 177:3
 222:5
essence 226:13
essential 178:10
essentially 232:10
 255:17
establish 22:8 32:21
 37:6 38:13 42:2,7
 46:21 52:15 54:15
 111:5 113:17 128:15
 130:4 140:13 146:6
 146:19,22 157:13
 158:1,22 159:5,9
 160:21 166:12 168:8
 168:14 169:11 171:21
 178:10 184:9 188:3
 190:9 220:3 250:9
 277:3
established 32:14
 51:16 148:16 153:6
 157:1 191:2 237:2
 258:5
establishes 165:12
 182:17 189:12
establishing 38:2
 159:14 165:12,16
 176:8 182:10 210:22
 227:8 247:5
establishment 170:14
 188:1 268:7,8,14
estimate 141:1 147:18
 148:3 206:18
estimated 162:3
estimates 162:5
et 81:6 185:22
evaluate 55:22 90:16
evaluated 247:19
evaluating 173:9
evaluation 16:22 67:22
 112:12 127:3 129:8
 263:9
evaluations 33:2 38:3
event 30:18 74:13
events 19:8
everybody 26:6 56:6
 58:21 83:10 132:7
 141:6 155:4 228:1
 233:22 246:11 260:17
 271:19,20
everybody's 252:16
everyone's 154:9
evidence 193:17
evolve 256:15
exactly 57:13 88:21
 95:11 187:8 208:14
 218:10 255:16

examinations 87:7
example 15:21 81:2,6
 179:21 186:10,13
 212:4 272:4
examples 33:6 251:1
excavate 99:1
excavation 38:14 74:20
 87:3,18 129:15
 237:22
excavations 38:20 52:5
 53:17 63:5,6,21 65:4
 65:5,8,10,17 69:7
 110:22 113:2 128:9
 129:14 141:15
exceed 173:15
exceedance 20:1
 137:18
exceeding 43:3
excellent 4:11
exception 83:14 190:11
 191:11
exceptions 163:15
excerpt 35:22
exciting 229:21
exclude 156:14,17
excluded 163:21
exclusions 181:12
exclusive 280:12
Excuse 255:1
exempted 243:17
exemption 241:7,22
 242:13
exist 224:10
existence 189:1
existing 37:6 39:14,14
 68:4 157:20 170:22
 171:7 199:18
exit 5:6
exits 5:6
expand 122:20 215:2
expanded 54:8,11
 113:13,16 129:21
 130:3
expanding 122:9 169:1
 189:11
expansion 168:17
expect 39:21 40:2
 41:18 44:13 47:4
 51:18 80:6 87:3,17
 88:2 90:21 115:11
 149:10 152:14 228:4
 273:16,18
expectation 11:18
 76:19 104:18 105:7
 106:15 122:22 123:21
 124:10 273:10
expectations 105:1
 223:16

expecting 40:4 76:18
 151:4
expensive 37:8,19
 237:18,20
experience 61:14
 167:19 184:15 221:14
experienced 165:20
 170:17 171:2 220:1
 250:12 254:19
experiencing 258:21
expert 152:21 211:18
expired 152:19
explanation 242:15
explicitly 25:17
exposed 171:15
exposes 250:10
exposure 195:22
extend 81:8 206:9
extended 199:16
extending 224:20
 225:19 245:10 278:9
 279:1,2
extension 59:16
extent 14:12 80:11
 204:8 239:14
external 241:17
extreme 19:8
extremely 60:6,12

F

F 1:16,19
fabricated 270:22
fabrication 146:13
fabrication-related
 162:17
fabrications 39:17
facets 79:8
facility 199:7 244:8,11
 244:13
fact 60:15 63:4 105:5
 105:15,16,20,21
 158:14 166:7 203:18
 253:5,14
facto 171:15
factor 147:15 148:2,19
 159:6 194:1 207:6
 222:2 223:18,22
 253:11 271:13
factors 200:6
fail 105:1 237:6 247:13
failing 241:19
fails 233:19
failure 44:12 58:10
 148:10,15,17 151:15
 154:2 166:1 167:19
 171:3 184:15 208:7
 226:11,16 227:10
 257:17,18 260:3

failures 54:3,5,8 113:11
 113:13 129:19,21
 140:8 154:1 170:19
 211:4 229:7 258:21
 260:8
fair 278:20
fairly 231:21
fall 195:15
falls 64:19
far 12:8 24:2 32:17 33:7
 34:19 41:21 42:20
 44:18 45:4,20 46:1
 63:19 64:7,19 142:11
 145:2 146:13 153:18
 154:2,16 228:16
 269:22
fast 57:15
fathers 191:6
fatigue 151:16 152:13
 170:4
favorite 124:5
fear 83:18
feasibility 16:5 17:2
feasible 17:11 35:17
 37:1 39:11 59:3,7,8
 59:10 89:20 90:6 91:8
 91:10,13,14,19,21
 92:3,5,6,9 127:6
 164:6 166:21 199:4
 200:8
features 19:4 251:5
February 247:15
federal 1:20 2:3 4:13,14
 6:6,15 9:20 16:2
 124:18 127:2 196:19
 235:7,7 265:8
feedback 18:11 23:17
 57:8 227:3 269:12
feel 95:10,20 192:12
 208:11 222:2,10
 224:15 225:1 234:4
 239:15
feel- 239:13
feel-good 237:16
feeling 23:20
feels 85:21 254:7
feet 142:21 144:21
 149:2 150:9 156:4
 216:1,20 253:18
felt 47:16 144:22
 150:12
fetish 105:10
fewer 97:12 142:22
 145:1
field 63:10,14 217:19
fifties 235:11
figure 26:16 104:12
 122:6 226:8 239:3,22

filed 187:22
fill 64:16 75:1 86:5
filtering 238:4
final 12:22 158:21
 162:9 194:12
finally 82:5
find 7:22 19:6 27:2 99:2
 99:19 213:18 249:3
fine 103:17 114:12
 120:21
finish 23:13,18 99:22
 261:6
finishing 24:15,15
fire 58:13
first 5:2 6:21 14:16,22
 15:20 16:20 18:19
 55:14 57:5 59:11 60:1
 62:1 67:11 70:20
 77:17 78:13,15 86:13
 87:6,8 90:9 114:1
 116:5 151:9 167:10
 186:8,17 193:10
 215:18 216:15 218:15
 232:3 249:18 253:1
 253:12 266:11 269:2
 272:20
fit 192:21
fits 25:20 105:21
 207:12 222:2 276:16
fitting 26:3 27:15
fittings 192:7
five 5:20 46:11 92:11
 100:22 109:3 115:20
 137:20 171:3 172:12
 172:12,22 173:4
 185:5 209:16 211:12
 221:13
five- 138:21
five-year 139:1 173:13
 173:16
Flack 217:13
flanges 39:17 146:13
flaw 248:14 256:15
flaws 169:18 177:6,7
 182:15 240:19 241:20
 243:1 247:12
Fleck 62:8
flexibility 53:8 56:8
 111:8,13 128:18
flood 30:14,16
flooded 29:21 30:10
floor 5:18 132:10
flowchart 105:18,21
focus 4:12 13:17 38:4
 69:5 79:20 84:18 85:4
 102:2 117:7 124:20
 196:2 198:4 204:21
 232:10,16 238:20

242:1,13 261:16
focused 12:12 101:12
 119:19 203:14 279:1
focuses 238:8
focusing 36:5 108:14
 196:5
folks 27:14 133:14
 139:13 252:10 260:4
follow 37:20 79:18
 103:3 210:16 221:9
 227:21 235:4,19
 279:13
followed 70:16
following 18:21 19:8,15
 127:7 166:18 193:22
 197:22 277:2 281:8
follows 160:17
followup 223:5
foot-pound 176:17
footages 144:4
force 241:17
forced 199:15
foregoing 134:8 246:7
foremost 211:18
forgot 11:1 50:10
form 195:18 262:7
formal 84:5
forth 94:8 118:11
 202:15,22 231:1
forward 13:5 21:15
 24:19 31:5 58:22 67:3
 72:2,12 73:12 74:11
 120:6 125:10 159:21
 161:4 180:20 186:5
 195:7
found 63:10 178:11
 274:15
Foundation 61:10
four 26:12 29:20 53:20
 57:2 109:2 113:7
 129:17 139:22 140:1
 140:12 141:9 143:6
 158:8,8 159:7,8,10
 190:8 253:13,20
 280:2
fracture 151:15 152:15
 177:19 178:1,4,9,19
 179:12 181:2,5,9,10
 181:13,14,22 182:13
 248:6,18 254:7
 263:12
frame 23:4,14 52:19
 104:18
frames 150:15
frankly 70:1 124:14
 242:16 270:1
freak 93:12
free 72:2

fresh 93:10,15
Friday 281:8
friends 30:15 213:12
front 14:13 30:12 37:1
 92:17 94:4 218:16
 245:9 261:3
fruit 24:6
fuel 199:16
full 21:13 112:2 132:19
 166:5 230:9,10
 234:19 248:6,12,13
fully 63:4
functions 73:21
Fun 1:15 8:17 28:15
fundamental 118:20
 250:10
further 73:9 84:4 90:2
 91:3 112:3 130:15
 134:2 172:19 196:13
 197:4 213:3 216:18
 228:20
Furthermore 188:15
future 147:20 165:2
 166:13 167:19,22
 184:15,18

G

gain 39:22
Gale 2:4 10:9,9 15:3,8,9
 17:18 29:5,7 80:22
 84:10 96:13 100:11
 121:17,17 185:15
 186:20 187:5,8,11
Galleria 1:10 29:18,22
game-changer 197:11
GAO 167:4
gaps 86:4,5 175:4,16
gas 1:5,12,17 2:15,16
 3:10,16 4:9,12 7:8 9:9
 9:11,14 11:13,13
 12:11,12 16:1 17:22
 18:1 36:3,5 37:14
 40:13 41:14 60:13,16
 60:21 137:16 138:6
 141:2 145:6 151:22
 162:4 165:8 168:17
 200:8 203:8 217:20
 233:21 242:8 252:20
 254:6 256:8 258:19
 258:21 259:5
gasoline 60:15
gather 74:16 115:16
 272:6
gathered 49:22
gathering 3:10,16
 11:14 12:11,13,14
 16:2 18:1 22:19,19
 25:18 50:2 62:20

109:12 127:10 132:15
 132:19
gating 222:2
GE 194:10
gears 191:22
general 21:22 80:10
 83:14 95:8 101:14
 102:19 103:2 105:5
 105:10 116:20 123:20
 124:1 194:6 203:1
 272:8 274:20
generally 82:18 197:20
generated 55:22
generation 199:12,15
generic 96:15,15,21
gentleman 67:4 91:12
 269:3,19
getting 18:5 29:20
 44:17 66:13,14 73:17
 108:13 109:18 116:15
 126:11 127:13 136:19
 154:14 213:14 218:3
 219:2 220:15 256:22
 257:1,2,3 260:14,15
 262:9
GIMP 242:7 243:7
give 31:17 33:21 35:2,5
 43:17 46:7 87:4 90:17
 111:12 117:14 125:10
 132:10 143:8,9
 144:19 145:10,14
 147:11 149:12,16
 150:8,12 161:2
 186:12 220:10 234:16
 241:6,22 242:13,15
 272:10,14
given 13:18 15:21
 20:18 22:8 112:1
 125:6 199:5 229:11
 230:22 272:8
gives 45:20 46:9 133:13
giving 96:20 228:16
GL 2:14 246:21
goal 37:16,16 49:12
 177:12 207:9 245:16
gold 268:8
Gosman 1:17 8:19,19
 77:18,18 78:12 79:18
 80:10 81:10 84:3 95:6
 97:22 101:13 102:18
 103:16 114:12 131:20
 131:21 206:16,16
 207:14,15 209:1
 222:16 232:2 233:2
 235:1,4 238:10
 270:10,10 271:21
 274:17 275:3 278:5
gotten 22:15 139:20

227:3 237:19,20,21
Gould 2:14 246:20,20
government 8:14 9:22
 82:20 124:18
GPAC 17:19 201:13
grace 19:1
grade 51:15 141:12
 175:20 176:6,7,9
 273:15,19 279:17
grandfather 21:1 34:2
 36:11 138:16 141:6
 142:12 144:9,15
grandfathered 33:22
 34:5,10 36:14 138:17
 140:6,18 143:21
 156:21 161:20 163:6
 172:14 207:10 218:5
 224:14 232:17 233:5
 233:17 235:17
grandfathering 232:12
 235:5,9
grandfathers 191:7
grants 61:11
greater 138:8,13 144:2
 144:6,6 147:14 148:1
 148:18 153:4 163:11
 173:21 178:14 179:10
 182:9 192:16 198:5
 199:1 200:1 215:6
 217:21 247:11
greatest 206:7
Grid 2:14 61:22 62:4
 65:9 67:4 196:9,11,17
 216:11 230:17 248:4
 248:5,21
ground 26:20 118:7
 126:5 151:3 185:12
group 6:5 41:12 57:10
 241:6
grouping 195:6,11
grow 74:15 148:5
 181:15 247:13
growth 44:13 151:16
 181:15 182:18
GTI 248:22
guess 6:18 29:8 88:9
 101:13 109:3 116:20
 120:17 207:18 220:4
 222:16 234:4 238:16
 255:13 257:20 271:22
 278:8
guinea 55:15

H

H 1:21
half 11:20 21:7,13
 60:14 272:1
hallway 5:10

hand 7:4 27:9 28:2
 68:17 135:21 188:21
 252:14
handful 59:5 61:13
handle 104:17
handling 81:17
Hang 66:1
hangup 239:3
happen 74:8 82:18
 234:10,11 245:2
happened 37:2 226:9
 256:17
happening 226:13
 234:6
happens 54:10 68:2
 111:21,22 222:18
 231:18 256:10
happy 56:14 161:4
hard 234:12 235:22
 241:10 269:14 276:13
 276:14
harkens 240:13
harmful 247:12
hazardous 1:3 19:7
HCA 33:4 34:4,7,7,9
 36:15 38:9 40:15,17
 41:5,5,15 74:5,14
 88:1 101:19 146:5
 156:21 169:7 208:15
 225:1 273:2,6
HCAs 22:17,18 23:10
 32:8 33:15,18 36:6,19
 87:9 116:21 117:11
 118:19 122:3,10,18
 137:17 140:2,19
 142:12 161:20 162:18
 163:17 165:4 170:5
 188:10 208:2 224:17
 226:6
head 244:19
heads 95:20,21
hear 69:10 105:2
 136:21 149:10 210:11
 218:8 223:2,3 227:13
 228:15 236:15 257:1
 263:15
heard 29:9 47:9,15 48:4
 54:19 59:5 66:4 79:6
 88:12 102:19 104:16
 106:6 114:16 219:8
 219:18 234:15 267:20
 271:8,17 275:5
hearing 210:3 239:21
 257:2 261:12 271:19
heating 66:22
heavily 241:9
heavy 57:5
Hello 197:17

help 13:22 24:12 77:19
 193:12 220:5,6
 265:13 277:15
helpful 108:18 204:11
 211:5 252:15
helping 260:4
helps 74:2
Hey 23:22 106:20 109:2
Hi 56:18 194:20 214:17
 246:20 252:6,19
hideous 106:3
high 58:14 69:16 121:4
 166:8 191:2
high- 57:21 119:15
 140:1 223:11
high-consequence
 119:12 121:13 138:7
 178:8 217:20 222:5
 223:13 240:17
high-risk 140:16 230:2
higher 65:19 250:11
highest 119:19 141:19
 142:1 147:22 159:3
 172:4 189:4 190:22
 191:1,8,10 247:7
highest-risk 116:4
 118:2 167:10
highlighted 195:5
highly 259:17
Hill 1:18 8:5,6 130:11
 130:11,13 131:16,17
Hilton 1:10
hire 35:8
historical 159:3 170:20
historically 259:10
history 140:7,21 159:11
 172:6 208:7 223:19
 223:22
hit 239:1
hoarse 154:14
hold 5:17 28:11 85:3
 136:11 247:3,11,17
 247:19 253:15
hole 86:5
home 30:14
homes 29:21 30:16
 216:6
homework 210:4
HON 1:12,15
Honorable 4:19
hook 154:4
hoop 153:3 195:2
hope 30:15,16 60:1
 134:12 152:3
hopeful 229:5
hopefully 21:5 29:1
 31:4 133:1
hopes 156:11

hoping 98:19
horse 154:16 226:20
 265:2
host 206:9 241:12
hot 256:2
hour 153:15 272:2
hours 10:21 27:2,3
 153:17 172:5
house 29:20 30:12
housekeeping 4:22
houses 216:3
Houston 29:19,22 30:6
 30:15 247:15
human 143:3
hundred 35:8,10 65:10
 65:13
hunt 99:18
hydro 248:9 249:2
 258:10,14 259:15
 262:14 279:15
hydrostatic 61:7 164:9
 165:10 218:4,13
 226:11 242:2,22
 247:4 265:20 279:18
hydrostatically 265:2

I

ICDA 254:2
idea 28:16 17 35:3,6
 40:22 43:17 45:20
 46:7 105:22 118:9
 143:8,10,22 144:3
 145:10,14 149:12,17
 150:8 237:10,11
identifiable 241:4
identified 68:3 90:1
 195:9 208:6,17
 232:21 240:20
identifies 20:16
identify 55:10 137:14
 223:20 241:16 242:22
 256:3 261:15
IDs 35:5 41:15
ii 181:11 275:20
iii 74:17 86:16 275:21
ILI 19:4 36:3 38:19
 153:6 164:5 174:12
 174:14,15 178:11
 179:6,11 182:11
 248:8 249:2,8 253:20
 255:18,22 273:13
 277:13
ILI-enabled 248:16
illustrated 175:13
IM 19:13,21 20:6 22:13
 23:7 169:7 170:22
 180:14 278:11 280:1
 280:5,10

- immediate** 31:12
118:22 173:3 223:14
IMP 41:2 63:5 178:8
impact 34:18 40:11,21
92:4 144:1,1,21 145:4
149:2,15,16,17,21
150:9,17 156:1,5
196:3 199:11,20
210:11 230:18 237:7
237:12 247:3
impacted 35:4
impacting 124:21
impacts 199:18 251:8
implement 175:9 208:3
208:8,18 254:2
implementation 159:19
160:4 166:18
implemented 183:2
implementing 118:4
121:8 236:18
implication 193:13
implications 33:11
implied 99:5
implies 193:5
implore 132:16
imply 106:4
importance 183:17
258:14
important 27:7 28:19
69:13 80:15,16 81:20
82:3,16 83:13 102:5
121:3 135:9 178:4,19
194:17 218:7 222:22
237:13 247:6 251:2
268:11 269:4,18
278:16
importantly 5:2
impossible 56:4,4
impractical 94:18
improve 124:22
improvement 125:2
in- 220:1 232:3
in-ditch 255:19 256:1
in-service 20:21 147:16
161:8 162:7 164:22
165:21 166:1 205:3
227:10
inability 58:19
inadequate 33:16
109:19 127:14 146:4
inappropriate 155:13
173:22
inappropriateness
170:20
inception 146:17
inches 29:20 30:19
144:12,12 149:3
156:4 253:19
- incident** 36:13 49:21,21
74:9 138:15 139:9
145:3 147:16 161:8
162:7,14 164:22
165:21 166:8,10,10
170:17 171:8 175:13
205:3 206:20 210:17
212:18 218:9 219:11
219:12 220:2,4 221:2
221:14,18 222:19
223:1,10,21 224:2,4
228:8,12 232:4,5
241:13 245:8,12,16
245:19
incidents 20:22 145:5,9
162:12,15,21 209:11
209:15 222:5 223:4
include 16:22 91:13
123:11 159:19 174:1
174:2 193:9 205:15
included 162:14 164:2
178:1 182:2
includes 70:9 155:7
164:15 178:7 211:2
including 16:14 36:14
47:20 138:11,18
159:11 182:6,8
224:18 245:16 248:22
251:5 255:19 260:7
inclusion 162:7 195:1
248:6
incomplete 33:18 34:1
34:11 142:8,10
143:20 144:8,14
inconsistent 250:22
incorporate 111:14
128:21 203:17
Incorporated 1:16 2:15
257:16
incorporation 170:1
incorrect 232:6
increasing 172:22
incredibly 121:2
incremental 124:19
125:3,11
indentation 46:5 60:3
Indiana 1:13 8:12
125:22
indicate 170:19 201:20
indicated 183:21
indicates 157:10
individual 120:15
230:16
individually 227:7
indulge 24:1
industry 9:6,9,12,15,19
33:12 45:8 48:6 55:13
58:19 60:10,21
117:15 157:9 187:22
188:7 192:15 201:2,7
201:21 202:9,18
211:8,10 212:5
222:17 236:22 253:1
industrywide 200:7
inertia 60:9
infinite 85:21
information 44:14
64:19 75:4,19,22
77:13 99:19 112:2,11
115:17,19 129:7
146:16 209:22 249:4
249:8,9 251:4,6,7
272:7 273:15
information-depende...
248:11
information-gathering
117:3
INGAA 2:17 67:10
240:15 249:15 251:17
INGAA's 74:6
inherent 215:8
initiatives 248:22
inline 138:11 147:5
148:9 156:6 163:13
174:20 179:2,4 182:8
257:18,19 259:16,21
260:2
innovative 61:10
input 12:19,21 153:21
217:3,6,9 228:13
inserting 71:11
inside 74:14
insights 77:13
inspecting 19:7 58:17
inspection 59:13 147:5
148:9 156:7 163:13
174:20 179:2,4 182:8
240:20 257:18,19
259:16,21 260:2
inspections 138:11
231:5
inspector 272:13
installation 162:16
270:22
installed 45:8 188:22
194:2
instance 117:16 213:10
instructions 6:14 64:15
65:6
instrumented 163:13
254:5,5
insufficient 138:1
integral 177:20
integrating 226:2
integration 168:20
integrity 9:8 11:21
20:14 22:2 32:22 33:1
38:3 40:12,13 41:16
47:21 68:5,16 70:6
74:11 79:4 118:16
136:22 146:17 153:5
165:14 168:18 169:6
171:1 177:22 180:12
180:14 181:19 183:3
188:20 208:1,14
209:5 220:19 221:20
223:2,19 224:20
225:16,19 226:1,2,5,6
226:14,19 227:11
228:3 240:9 241:16
242:8,8 243:13,13
250:5,21 251:19
260:13 263:14,20
264:5 265:4,19
268:12 275:21 276:12
278:7 279:1,3 280:7
intend 100:18
intended 121:9 170:3
189:10 242:12,13,16
intending 277:5
intends 169:1,3
intent 69:7 72:10,12
86:10 98:21,21 99:9
99:17 114:4 158:20
163:3 174:3 202:17
203:2 205:5,9,10
211:16 212:1,22
218:11,12,12 229:15
245:5 271:7,10,20
275:12,13 276:22
intention 85:21 88:16
intentional 70:11
266:15
intentionally 82:22
interacting 148:14
interconnected 199:13
interest 24:3,13,18 25:1
25:15
interested 28:4 213:14
interesting 233:15
interim 76:6
intermediate 24:11
interplay 157:4
interpret 63:2
interpretation 197:7
interpreted 62:12
interpreting 197:8
interrupt 6:11
interstate 117:1
intertangling 226:20
interval 181:20 182:1
intervening 102:22
introduce 7:19 10:2
11:2 206:8

introduced 20:8
introduction 3:7 15:4
invalidate 156:10,14,18
invalidated 219:12
 221:15
inventory 197:12
inverse 75:8
investigations 257:17
investment 175:7
invite 246:13
invoked 146:2
involve 256:7,8
involved 248:21 257:16
involving 257:18
irrespective 223:11
issue 20:9 31:7 45:5,9
 55:20 63:16 71:6
 79:14,17 89:7 91:9
 93:19 95:19 106:19
 124:3,4,5 152:6 201:3
 203:12,14 205:22
 210:22 212:3,6
 223:15 224:16 227:7
 229:13,17 232:11
 236:3 238:3,12 239:4
 239:9,12 263:18
 265:21 270:5 271:4
 271:22 274:15,16,21
issued 180:9
issues 5:1 26:14 46:19
 89:5 90:1 102:20
 112:2 114:1 121:3
 133:19 152:1 162:1
 170:18 178:5 203:16
 211:2 229:11 232:12
 237:15 249:16 257:12
 258:12 261:5 265:19
 269:17 274:1 277:13
 278:11
it'd 41:8 51:2 79:10
item 28:10 152:22
 181:6 205:19 246:14
 261:10
items 28:7 42:17 48:13
 76:15 89:13 141:9
 217:8
IURC 209:7 219:7 225:5
IVP 21:12 139:19,22
 145:15 146:1 162:3
 176:5 178:4

J

j 1:17 2:1 137:5 158:1
 159:21 161:9 169:21
 171:10 181:6 185:2
 188:9 196:12,15
 205:13 233:10 250:7
 250:8 265:20 268:7

275:16
Jagger 2:5 10:7,7
JANICE 2:6,7
January 18:20
Jersey 256:17
job 18:5 118:4 229:13
John 2:4 10:9 15:3,5,7
 15:9 23:22 24:2 29:3
 50:11 100:10 112:4
 121:16,17 122:15
 123:9 185:14
joining 135:14
joins 194:10
joint 4:10 113:4 194:1
 257:7
joints 113:3 129:15
 192:19,20
jotted 89:14
journey 77:12 126:6,16
judgment 141:17 175:2
 175:5
juice 212:20 215:10
jump 210:15 262:18
jumping 185:21 275:9
June 19:14 23:3 25:21
 25:22 26:5 56:22
 78:16 132:18,18
 133:17
justification 189:10
justify 189:12

K

keep 5:19,22 18:14 51:2
 51:18 85:4 93:18 96:9
 106:11 110:17 124:2
 126:15 128:4 161:3
 190:3 203:20 208:20
 226:1,20 234:6
 243:11 260:2
keeps 243:10
KENNETH 2:6
Kern 2:14 61:20,20
 196:9,9 248:3,3
key 43:9 75:6 107:12
 111:11 228:9
keyhole 64:1
keying 132:20
Kiefner 153:21 241:14
 247:10,14
knew 95:15 230:10
knock 261:18
knowing 60:11 95:11
 121:2
known 38:11 42:2
 159:11 175:22 192:5
 194:2,7
knows 29:14
ksi 175:20 176:3,6,10

Kuprewicz 2:15 257:14
 257:14
Kurilla 2:15 252:6,8,17
 252:19,19

L

lab 63:10
lack 20:22 232:14
lacked 140:20
lacking 140:14 189:16
ladies' 5:4
land 261:3
landed 260:12
landscape 35:12
Lane 2:16 191:20
language 17:9 62:4
 66:11 70:8 71:21
 91:10 92:19 94:4,8
 99:4 100:12,19
 106:22 111:15 114:2
 114:8,10,13 128:21
 160:11 232:9 263:7
 266:14 267:14 270:20
 274:21 275:2,4
large 53:16 55:19 85:22
 113:2 120:11 129:14
 199:8,9 206:22 236:4
 249:7 253:8,9
large-scale 199:5
larger 21:21 117:13
 215:5 253:7,7
largest 192:6 241:15
Lastly 189:9 251:15
late 43:19 166:10 262:9
latent 182:14 211:1
laughs 106:4
laughter 29:10 105:19
 107:8 125:20 134:18
 134:20 136:3,6
 154:17 180:22 204:16
 215:11,14 217:15
 219:16 229:22 240:12
 246:4 262:4,8 264:11
 264:13,19 266:19
 277:8 279:10
launcher 19:4
Lauren 2:19 197:18
law 1:18 8:21 37:5
 137:21 260:20
LDCs 199:13 200:9
lead 14:16 65:18
lead-in 15:2
leak 150:18 232:22
 233:8,19 254:5,6
leak-before-break
 256:12
leakage 149:5
leaks 231:7

learned 124:17 125:10
leave 6:17 26:16 228:14
 239:22 252:13
leaving 270:1
led 215:7
Lee 2:6,18 200:16
 203:11
left 5:3,5,8 8:3 10:16
 70:11 83:19 96:14
 103:9 108:15,22
 110:19 205:16
legacy 147:17 192:9
 193:11,11,20,20
 194:11 197:5,8
 201:17,18,22 202:1
 203:14 276:4
legal 13:12
legislation 119:10,18
 205:5,9 206:3 238:6
 245:5 275:12 278:22
lend 24:9
length 247:2
less-than-30-percent
 245:17
lesser 147:9 174:7
lessons 125:9
let's 18:17 27:19 68:22
 78:21 80:2 86:13
 88:14 89:11 134:16
 150:16 187:3,13
 191:22 246:10 257:22
 259:2 261:3 277:11
letter 68:9 70:21 71:6
 71:17,21 72:15,22
 82:6,16 83:13 111:16
 114:8 128:22 180:8
 182:21 183:2 263:7
level 24:19 52:17 54:17
 89:8,18 90:4,9 100:6
 111:6 113:19 128:16
 130:6 166:3 177:10
 179:19 237:6
levels 171:19 241:8
 250:8,11 251:21
liability 84:17,22,22
 124:4
lieu 21:20
life 51:12 59:16 147:19
 148:3 151:21 152:19
 177:6 181:22 192:21
 192:21 237:8
lifting 57:6
light 18:6 183:14
likelihood 197:13
likes 239:13
limit 190:22 222:21
limitation 155:11 172:7
limited 155:8 156:19

162:10
limiting 107:15 173:19
limits 42:4 124:11
 162:15
Lindsay 2:18 55:12
line 22:19 23:13,18
 119:12 135:14 152:2
 163:20 177:17 223:17
 224:3,8 244:7,9,12,13
 244:14,15 256:9
 273:17
linear 250:1
lines 22:19,22 109:11
 109:12 127:9 139:10
 139:10 140:20 150:3
 156:3 164:1 174:1,5
 193:6,7,14 198:11
 217:20 233:5 244:3
 253:12 254:12 258:20
 276:2
link 142:19 257:6
linkages 101:11
liquid 19:7 60:19 152:2
 258:20
list 50:21 89:5,13,22
 110:15 128:3 262:12
 264:5,14
listed 141:9 168:8
 181:4
listening 32:19 142:17
 154:9 227:22 239:2
listing 76:15
literature 153:13
little 15:2 16:10 23:20
 26:2,7,21 34:10,13,15
 40:18 56:20 57:9 58:4
 64:18 85:9 133:13
 150:17 154:14 190:13
 215:15 217:6 220:10
 220:20 236:19 243:11
 244:15 246:12 254:8
 257:11 262:15 270:12
live 29:18
lively 126:12
LLC/Virginia 1:20
located 5:3 101:19,19
 156:22 167:21 184:17
 199:7
location 25:10 87:22
 101:20 141:10 142:2
 142:18 146:6 147:14
 148:2,19 152:16
 156:22 159:6 163:18
 166:10 216:22 253:11
 273:5 274:12,14
locations 32:9 33:15
 34:13 48:17 53:16
 87:19 113:2 122:17

129:14 140:2,3,17,19
 143:9 161:21 162:19
 163:18 188:10 209:3
 215:22 222:19 272:22
 273:4
loggerheads 98:5
logic 118:13
long 17:3 75:11 96:17
 108:10 114:20 115:14
 115:17 126:22 155:2
 173:14 175:2 196:19
 209:14 236:21 255:2
 257:7 268:9 272:19
longer 50:18 97:10
 108:16 134:5 167:2
 194:3
Lonn 2:16 203:7,7
look 13:3 32:18 33:21
 33:22 37:9 41:4,7
 42:5,11 43:2,5,5
 57:17 62:18 65:4
 70:12 71:10 73:21
 81:1 87:21 94:16
 98:11 102:5 106:3,22
 117:13 144:5,5
 149:16 152:5 153:12
 154:10 180:20 195:13
 209:10 215:22 216:1
 216:20 217:17 218:17
 220:9 227:16 228:17
 229:5 230:5,7,13
 231:22 235:14 238:3
 240:19 241:10,10
 250:18 259:14 260:18
 260:22 261:4 266:21
 270:20 271:11,18
 273:3,4 274:11
 277:15
look- 172:11
look-back 172:13,22
 173:13 185:3
looked 40:9,12,15
 43:18 44:15 54:21
 90:15 143:19 145:5,7
 145:20 150:15 154:11
 215:21 216:4,8 235:6
 270:14 272:14,18
looking 13:1,8,8 22:6
 23:17 32:16 35:14
 39:4 40:21 41:22
 50:10 76:11 77:3
 80:17 88:21 94:9
 96:14 99:10 100:8,16
 100:20 108:8,16
 114:3 115:3 142:5,21
 143:20 144:2 145:16
 149:15 150:14 151:2
 151:6,13,20 154:1

171:4 213:18 215:18
 215:20 216:9,19
 217:9 228:1 235:15
 237:14,16 241:7
 257:8 259:18 272:12
 272:21 273:14 274:2
 274:10
looks 73:16 94:6 99:12
 114:14 280:13
loop 30:1 181:8 267:13
 267:19
loophole 236:8
lose 229:3,16 257:22
 259:3
loss 79:16 148:14
 231:12
lost 38:4 81:13
lot 18:2 30:9 57:7,17,19
 57:21 58:1,2 61:14
 69:10 74:13 75:20,22
 88:4 102:20 126:7
 143:17 145:4 151:22
 154:11 185:12,17
 207:19 211:3 212:21
 220:15 230:10 236:11
 237:2,3 242:10 251:3
 259:10 260:11 264:21
 269:7 276:6
loud 17:17 88:13
 109:12 234:9
love 259:15
low 64:22 65:2,17
 148:22 149:14 195:12
 195:12 196:4 212:16
 216:2 230:18,18
 245:11
low-alloy 176:18
low-hanging 24:6
low-percent 253:3
lower 37:11 176:7
 195:2 271:14
lowest 148:10,17 158:6
 159:7,9
lucky 30:13
lunch 3:13 132:9 134:6
 134:9,12

M

ma'am 86:16
main 20:20 59:11
 111:11 146:22 200:22
 258:4
maintain 35:20 42:3
maintenance 39:8
 124:2 221:15 250:4
 250:20
major 212:18 236:5
 245:19 259:5

majority 16:17 41:14
 237:4
making 15:20 44:11
 59:18 76:6 95:7 97:20
 136:4 228:6 254:11
 256:11
manage 121:11 241:18
managed 16:8
management 8:7 19:9
 22:2 33:1,1 40:12,13
 41:16 47:21 68:5,16
 74:12 79:4 146:17
 165:14 168:18 177:22
 180:12,14 181:20
 183:3 188:20 208:1
 208:14 209:5 220:19
 221:20 223:3,19
 224:20 225:17,19
 226:1,2,5,6,14,19
 227:12 228:3 240:9
 241:16 242:9 243:13
 243:14 249:22 250:21
 260:13 263:14,20
 264:5 268:13,13
 275:22 276:12 278:7
 279:2,3 280:8
Manager 2:10 11:5
 190:19
managing 221:22
 229:13 251:13
mandate 19:1,5 36:1
 63:15 115:16,18
 116:19 121:19 123:10
 139:21 161:15 163:4
 163:15 174:18 178:21
 179:9 198:4 206:10
 210:10 217:18 218:1
 218:16 219:2 230:6
mandated 32:5 37:4
mandates 24:16 137:7
 144:19 145:15 150:13
 213:16
mandatory 38:14 53:15
 110:15 113:1 128:3
 129:13
manifest 241:12 243:1
manifesting 242:11
 243:10,14
manifolds 273:12
manner 247:13
manufacturer 47:1
 177:1 257:9
manufacturer's 192:11
manufacturers 192:6
manufacturers' 202:21
manufacturing 36:17
 139:6 140:8,22
 145:17 161:10 162:16

164:22 165:7 192:5
211:1 241:19
manufacturing-related
210:20 270:21
manufacturing/const...
251:5
MAOPs 221:12 265:12
map 255:20
March 23:2 102:14
132:21
margin 169:12 247:5
250:9
Mark 1:15 8:15 28:12
28:14 104:15 114:11
116:16 121:18 126:2
131:10 238:21 239:5
markings 39:18
marshal 242:18
Massachusetts 2:12
56:19 91:12
material 20:9,10,13
21:11,19,21 31:1
32:17 34:19 37:7
38:11,13,15 39:2,5,10
40:1 41:1,10 42:1,7
42:10 47:13,22 48:5
49:3 52:5 53:6 58:5
67:14 68:15 76:14
91:19 92:14 99:2
101:18 109:9,17
110:9,17,21 112:10
112:21 127:4,8,12,22
128:5,9 129:6 137:8
138:20 140:11,20
141:10 145:10,21,22
146:5,7 148:12 158:2
159:17 175:9,21
185:17 188:19 189:2
189:11,16 226:16
229:11 240:19 243:1
251:10 255:10,16
256:3,19 277:12
278:15
material-related 171:10
materials 1:3 2:12 25:9
33:10 56:19 138:5
189:7 269:9
matter 12:15 13:15
62:10,14 76:21 88:11
89:9 97:12,12 134:8
152:21 189:3 237:15
246:7
maximum 159:14
160:21 173:15 174:21
184:9 237:12 250:5
251:11 277:3
Mayberry 2:2 4:3,16
10:16,20 11:3,8,12

14:19 23:22 27:3,6
92:21 98:10 100:3
104:1,7,10,14 106:7
117:6 121:1 124:16
132:12 134:11 135:22
204:7 210:3,6 227:2
229:20 231:15 255:1
255:6 261:17,22
264:10 266:17 280:22
MCA 140:19 163:18
167:21 168:4 184:17
MCAs 117:11 122:4
163:9 170:5 225:19
McLAREN 2:7 10:13,13
15:6 136:17 154:15
232:20
McMurray 192:4
mean 27:6,9 49:6 63:11
65:12 69:12 74:14
77:5 80:1 87:21 88:17
95:14 96:4 100:16
102:10,21 103:12
105:5 106:11,13
108:5 114:17 116:22
118:5 197:8 209:16
212:10 213:13 218:6
220:22 221:4,10
231:16 233:17 234:8
236:2,16 238:11
239:12 241:6 255:21
269:13 275:16 276:13
means 36:3 98:4,7
102:13 200:11 218:10
228:10 256:8
meant 12:1
measurable 125:1
measures 208:4,4,9
223:6
mechanic 107:21
mechanical 202:19
mechanically 74:1
mechanics 73:17
151:15 177:20 178:1
178:4,9,19 179:13
181:2,5,9,11,13,15,22
182:13 248:7,18
254:7 263:12
mechanisms 14:11
115:4
meet 76:1 141:3 160:13
160:19 170:7 174:16
184:8 212:22 229:15
253:13,14,20
meeting 1:5 4:8,11,15
6:2,7,9 7:7,11,14
11:15 12:3 18:13,19
20:11 21:16 22:13
23:2,4,11,16 24:11

28:21 29:15,17 30:20
41:18 42:22 44:6 50:7
78:16 96:22 132:21
135:8 144:19 164:12
228:19 274:12 277:2
meetings 18:2 24:3
100:21 133:20 139:17
211:22 215:19 259:21
meets 196:14
Melissa 2:14 246:20
member 3:3,4 6:13
16:14 106:18 133:1
members 1:12 6:7,7
7:19 16:17,20 17:5,16
27:21 55:4 67:7 68:19
68:22 96:13 97:2
122:1,1 135:9 186:2
201:2,7,14 204:14
222:18 252:11 261:9
memories 240:8
men's 5:5
mention 25:11 61:2
mentioned 14:22 59:3
60:4,4 61:1 132:13,18
236:16
merely 244:6
merits 173:9
message 234:8
messed 220:6 259:18
met 1:9 6:20 157:3
174:9
metal 148:14
method 46:5 62:22 68:6
81:4,6,6,6,8 110:18
111:4,19 128:6,14
129:3 146:12 147:21
148:7,20,22 149:6,14
150:11,22 153:7
156:3 158:17 164:16
165:11 169:10 171:4
171:22 172:2,16
173:18 174:8,10
177:1 178:13,15
179:1,3,17 180:1,6
185:22 186:7 198:16
250:17,19 251:2
252:21 253:7,8,11,21
253:22 254:11 255:9
255:12 256:6,6
262:18 275:14
methodologies 168:5
182:6 208:19
methodology 123:5
251:16 253:2,5,6
methods 20:17 44:16
53:10,13 66:18 81:3
109:22 111:7 112:15
127:19 128:17 129:10

138:11 146:18,20
151:20 164:14 168:8
168:9,14 169:10
179:4 181:4 182:7
185:4 186:4,6,8,18
187:10 188:16 197:6
214:6 246:14,17
249:17 255:12,19
258:11 261:14 266:10
267:15,16
Michael 2:14 248:3
Michigan 189:21
micro-structure 152:14
microphone 15:3 55:6
55:7 66:3 187:16
239:6 246:15 266:17
microphones 135:10
Mike 61:20 196:9
mile 52:7 87:4,18
142:20 220:22
mileage 31:18,20,20
41:5,7 65:1 88:3
122:21 151:10,12
162:3,5 195:10
206:22 235:14,16
mileages 90:20 272:19
miles 33:14,18,19,20,20
34:5,7,10 35:8,11,11
57:21 64:20 88:5
141:2 142:11,14,15
144:8,10,11,14,16
200:19,21 206:18
207:19 214:1,8 221:1
235:17 236:2
mill 33:6 250:12
Miller 2:16 191:19,20
201:16
Miller's 202:13
million 199:2 203:8
mind 93:18 102:22
126:17 214:21 216:5
217:14
minimal 278:3
minimis 212:17 237:5
minimum 41:21 42:1,9
50:21 52:15,16 54:15
61:3 111:5 113:17,18
128:15 130:5,6 144:7
182:6 235:8 277:21
Minneapolis 58:16
minute 280:9
minutes 5:20 25:16
26:19 27:17 108:19
153:12,15 246:6,12
247:8,11,17 279:14
misapplication 265:1
misinterpreted 59:6
missed 83:5

missing 31:7,12 35:9
35:13 38:1 49:12
76:13,20 77:1,7,9
109:18 123:8 127:13
146:4 189:8
mitigation 181:4 208:9
208:19
mitigations 224:1
mix 244:18
MMT 254:16
mobile 5:11
modeling 151:15
263:12
moderate 122:19 140:3
163:10 164:7 209:3
222:20 278:10
modifications 164:4,8
modify 163:9
modifying 177:13
Moidel 2:17 187:18,19
moment 26:9 132:11
272:5
momentum 18:5 93:10
134:15
money 57:17
monitoring 182:18
monthly 254:4
months 12:5 26:13
73:19 133:21 172:8
172:12 173:4 185:5
MORGAN 2:6,7
morning 4:6,7 8:5 15:8
15:19 55:8,11,15
61:20 69:2 89:6 132:7
134:5,13 245:15
281:4
motion 16:13,15,22
17:6 29:12 94:13 95:1
97:8,10,11 104:18
114:15 125:15,18
126:18 127:1 130:21
motions 17:4
Mount 1:22 9:17,18
243:20
move 21:14 29:3 50:11
74:11 93:7 94:22
125:8 166:14 186:9
186:12,22 192:1
263:16 264:4,14
280:15
moved 92:22
moving 5:22 10:18
18:15 24:18 25:1 96:9
168:5 174:10 181:1
186:4 206:1 263:20
multiple 53:16 100:18
113:2,3 129:14,15
150:20

multistory 143:18
municipal 244:15

N

name 4:15 8:5 55:12
191:20 197:17 252:16
name's 15:9
names 202:22
Nanney 10:11,11 15:5
23:20 29:8,13 66:5
72:9,17 73:10 76:10
78:9,11,14 80:2 86:12
86:22 89:1 90:8 91:5
91:14,20 92:1 109:2,8
115:1 122:14 136:7,9
207:2 209:20 214:5,9
214:11 215:17 218:15
219:14 220:8 227:1
227:21 230:15 266:20
267:2,6,20 268:1
270:19 272:10 275:1
277:6,10
narrow 116:18
National 2:14 61:9,21
62:3 65:9 67:4 196:9
196:11,17 216:11
230:16 248:3,5,21
natural 138:6 168:17
217:20
naturally 103:3
nature 220:16
nay 130:22
NDE 53:18 113:7
129:17
near 91:1 119:13
near-critical 169:18
near-term 223:21
necessarily 22:9 58:7
60:10 184:20 214:6
necessary 5:21 83:22
91:4 157:22 166:22
188:15 250:21
need 6:4 12:8 13:2,16
16:9 18:14 23:12,13
25:6 44:2,21 47:13
48:18 51:1,5 59:17
60:21 61:9 63:2,13
66:15,21 67:15 72:14
74:7 75:2,3,7,11,15
76:20 77:2,8 84:1,6
87:1,7 92:2 93:14
98:8 99:19 106:16,20
110:4 116:14 118:3
126:3 133:17 146:2
147:13 148:13 149:11
151:18 152:12,17,20
191:8,10 197:13
199:8 203:14,15

214:1,5 220:2,17
221:3 225:7 226:5
227:14,16 238:1
240:22 243:12,15
245:1,14 259:22
265:13,18 266:21
274:17,18 275:10
276:7 278:16 279:16
279:17 280:3,6
needed 20:5,6 34:19
38:1 44:4,9 45:10
47:16 48:1 49:6,7
50:4,18 53:7 67:14
70:5 75:4 78:20 79:1
90:14,18 99:2,3,20
111:10,12,20 112:10
112:11 121:6 128:20
129:4,7,8 147:2
148:13 154:2 183:10
188:19 198:18 202:9
249:5 260:12 277:13
279:19
needing 90:2 124:9
needs 74:8 126:4
147:19 179:3 196:13
196:22 223:16 232:7
248:17 267:17
neighboring 199:13
neighbors 29:21 30:10
neither 6:10
network 120:10
networks 30:7 195:18
never 44:8 45:7 241:20
259:8
new 1:15 2:19 58:13,17
71:12 133:1 135:13
137:1 147:6 156:9
157:17 164:20 194:4
197:19 198:13 240:1
256:17 265:12
nice 93:15 98:2 103:20
233:10
nightmares 240:10
nine 35:7
NiSource 2:18 200:16
201:12,20
nominal 253:18
non- 39:9 92:2 115:8
non-destructive 46:3
46:15 48:22 53:9
57:15 59:4 80:8 91:18
92:10 111:9 112:19
122:16 128:19 146:12
254:3
non-HCA 22:18 33:4
34:6,8,9 36:15 38:9
79:5 163:17 169:8
178:7

non-HCAs 33:19 36:19
115:8
non-restraint 202:19
norm 90:22 91:1
NORMAC 2:16 192:5,12
194:8,10
normal 39:7 60:8 90:12
normally 33:9 43:8
87:17 138:19,21
North 1:10,22 192:4
notably 95:13
note 25:16 29:13
146:15 159:10 161:2
174:6 176:8 181:12
noted 137:2 176:3
183:16 191:16 229:7
notice 52:7 54:21
154:11 182:20 228:5
235:7
notification 52:12,14
52:19 54:11,14 68:1,5
82:12 111:4 112:1
128:13 130:2 149:7
164:16 171:20 180:11
180:13,16 185:6
notifications 113:15
182:20 183:3
notify 111:19 129:3
notifying 111:17 129:1
Notwithstanding
160:17 184:5
November 145:8
NPRM 3:9,15 19:17,20
154:19 247:16
NRPM 18:1
NTSB 31:9 34:2 36:8,9
36:10,12,22 125:7
137:7 138:15 139:3
139:21 145:16 151:14
161:22 163:21 167:4
174:3 210:11 211:6,9
211:13,17,22 212:4
213:1,13 218:17
235:19 245:4,6 259:2
260:19 265:17 270:13
271:2
NTSB's 165:5 212:9
229:15
nullified 98:8
nullifies 220:4
number 7:9,15 35:3
40:6,15 43:7,14 48:8
53:20 65:4,16,17,17
71:17 85:22 86:1 87:2
105:8 113:6 120:7
129:16 218:5 248:22
274:3
numbers 35:6 41:9

120:7
numerous 115:6
 161:22

O

O&B 14:4
obey 6:13
object 71:22,22 72:1
 111:16 128:22
objection 52:21,21 68:9
 68:12 70:21 71:5,6,7
 71:8,17,21 72:15,22
 82:5,16 83:12 90:17
 114:8,8 180:8 182:21
 183:2 263:7
objectives 168:20
 258:4
obligated 208:8
obligation 74:15 150:14
obtain 72:14,22 188:21
obtaining 128:8
obvious 133:20
obviously 88:11
occupancy 143:3
occupied 143:4
occur 22:1 209:16
 224:2
occurred 117:8 162:19
 171:9 174:5 209:12
 209:15 224:5
occurrence 248:14
occurring 162:12
occurs 223:10
odorize 254:6
offer 119:11 201:11
 278:21
Office 2:4,5,8,9 11:6
 13:13 15:10
officer 6:15
official 2:3 4:14,15 5:20
 6:15
offline 27:14
Ohio 2:17 187:20,21
 189:6
oil 60:20 199:16
old 265:12
older 139:11
once 238:13 239:12
 263:1 264:9
one- 158:15
one-and-a-half 153:10
one-mile 142:19 143:1
one-per-mile 90:11
 111:1 128:11
one-size-fits-all 49:1
one-time 158:21
onerous 253:6 254:8
ones 29:16 179:17

186:9 238:9
ongoing 74:13 226:8,10
 250:4 251:12
onshore 109:10 127:9
 160:13,19 184:7
 202:3
open 5:18 48:9 50:4
 86:5 103:9 197:6
 204:13 231:8,13
 243:4 248:7 269:11
 276:6
opening 3:5 10:17 21:8
 154:8 196:1
openings 13:21
operate 42:2 149:18,20
 150:3,11 163:11
 172:9 174:21 200:18
 216:16 221:19 233:16
 241:8 245:11 250:14
operated 171:17
operates 196:18 200:17
 233:18
operating 33:3 38:18
 42:4,14,19 69:21 85:3
 138:7,22 141:19
 142:1 144:9 147:8
 148:1 150:19 152:16
 159:15 160:22 171:8
 171:14 172:4 173:16
 173:20 174:6,21
 184:10 189:5 190:22
 191:1,9,10 197:2
 198:5 200:20 206:5
 217:21 218:19 222:10
 250:6 251:11 259:5,8
 271:14 277:4 278:6
operation 178:12 188:3
operational 32:13
operations 9:11 39:7
 66:8 141:14 243:2
 250:4,20 259:5
operator 34:19 35:5,16
 35:19 38:18 39:12
 41:15 44:13,16 47:5
 49:14 51:11 52:22
 59:15 65:1 68:11,13
 71:14,19 72:2 75:18
 84:18,19 85:2,5 86:18
 111:15,18,19 112:1
 117:20 128:16,22
 129:2,4 141:16
 146:20 147:5 156:22
 158:7 166:1 168:10
 168:11 169:3,4
 177:15 272:12,19
 273:20 277:1
operator's 56:1
operators 20:17 32:7

33:9,13 35:3,5,7,12
 37:12 39:22 40:21,22
 41:1,12,14 46:21 48:8
 51:2 52:10,12,14 54:7
 54:14 55:14,19 56:2,9
 58:5 61:13 64:17
 67:13 75:13,21 89:19
 90:5,20 110:16,16
 111:2,12 113:12,17
 115:8 120:15 121:7,8
 128:3,4,12 129:20
 130:4 137:14 156:19
 159:8,10 160:5,12
 164:8,13 167:7,9
 168:13 171:19 172:3
 172:17 173:12 174:12
 175:1 176:6,8 188:20
 190:8 228:6 233:13
 233:13 244:4 249:19
 251:3 259:13
operators' 111:6
opinion 61:5 66:12
opportunistic 35:2
 39:20 41:19 48:5 52:4
 63:20 74:3,5,8 75:8
 77:11 86:3 110:20
 114:19 115:15 128:8
opportunities 39:6
opportunity 28:20
 103:11 192:7 194:16
 195:4 201:10 203:3
 256:21,21
opposed 13:6 57:2
 67:19 80:14 115:14
 115:16,18 270:16
optimistic 15:15 18:8
 21:5 26:22 27:17
option 17:12,13 146:21
 147:6 178:19 186:10
 186:14 195:16,20
 198:7 250:2
options 17:6 96:20
 104:14 130:21 146:22
 231:20
order 5:15 6:8,20 7:8
 14:22 55:22 70:5
 159:8 178:10 183:10
 190:8 201:8
orders 222:7
organically 18:10
organization 16:8
 211:20,21
organizationally
 121:12
original 161:9 179:21
 206:10 232:5 235:7
 251:4
originally 22:6 101:15

268:22
originate 17:4
Osman 2:17 67:9,10
 249:14,15
ought 270:2
outages 199:16
outcome 98:6 117:8
outlier 90:22
outlined 56:13 175:10
 253:6
outlines 96:18
outs 150:12
outside 22:17 23:10
 74:14 116:21 118:19
 122:3,10,18,18,21
 170:5 241:17
overall 195:18 203:1
overarching 218:12
overly 162:9
overly- 176:20 177:3
overseer 120:18
oversight 121:7 266:15
overtesting 120:1
overtime 114:17
overview 3:6 15:14
 18:16
owner 35:19

P

P-11-14 138:16 163:22
P-11-15 165:5
P-R-O-C-E-E-D-I-N-G-S
 4:1
p.m 134:10 246:8,9
 281:6
PAC 67:21 68:1,17
 191:12 249:17,18
 250:16 252:1
pace 18:15
page 91:11 94:7 96:12
 109:8 110:19 114:7
 124:13 253:14
pages 96:17 108:22
 109:3,3
Palabrica 2:8 10:5,5
paper 72:16 194:9
paragraph 50:14,17,17
 53:5 109:16 110:8,14
 112:9 127:11,21
 128:2,7 129:5 156:9
 156:14 157:17 160:18
 170:3 178:16 190:8
 190:18
paragraphs 51:22
 156:15 184:6
parameters 41:22
 170:13
parse 210:18 211:5

part 47:5 49:11 51:11
57:16 76:5 78:7 79:4
79:22 80:1 88:6,6,17
100:6 104:3 107:13
107:15,15 118:2,14
121:20 123:15 136:21
137:3,5,21 138:2,2
156:12 178:10 189:13
192:1 194:4 195:18
201:21 207:5 224:19
228:12,15 229:4
236:4,5 241:15 250:4
251:15 268:6 274:8
274:15 280:14
participation 5:15 6:18
132:22
particular 46:4 80:18
81:21 82:8 83:6,10
84:8 96:1 192:3 200:8
202:7,11 206:19
208:9 229:17 235:10
236:2
particularly 56:8 67:13
parties 5:17
parts 70:15 94:17,19
100:18 102:3 137:11
205:7,17 273:3
274:10
pass 242:17 262:19
passed 19:3,22 20:1
68:11 182:15 260:20
passes 132:5
path 233:14
patrols 149:5 231:6,11
254:4,4
pay 60:14
peace 6:12
peak 247:10,18
PEARCE 2:9
PECO 1:14 9:11
peers 234:9
penalized 172:19
people 59:5 88:17,18
88:18 102:21 109:7
114:9 117:15 124:22
234:12,18 259:18
261:4 269:7
percent 31:19,21 52:17
54:16 60:16 89:7 91:1
113:19 128:16 151:10
151:11 152:18 153:10
162:4 163:12 173:21
174:3,7 177:10 195:2
195:10,17,19 198:6
206:5 209:12 213:9
214:13 215:2 217:22
230:7,12,12 231:11
241:6 253:17 269:8

percentage 41:8,9
perfect 233:9
perform 67:14 140:12
166:2 169:3,5 174:12
181:5 208:3 234:19
275:15
performed 52:6 70:14
110:22 128:10 181:7
223:16
period 19:2 68:11 73:3
139:2 172:12,13,22
173:13,16 185:3
235:12 240:17 247:17
permit 90:18
permits 21:3
permitting 21:7
person 82:10 201:3
perspective 93:4,9
99:17 115:11 123:21
192:11 207:17 235:22
238:16 258:13
pertaining 252:21
pertinent 192:3 205:17
PERVARSKI 8:9
pessimistic 108:5
Pevarski 1:19 8:9
131:14,15
PG&E 31:8,10,20,22
32:1,5 36:13 37:2
49:21 74:9 138:14
139:9 175:12 230:1
274:15
PG&E's 32:3
PG&G 45:5
phased 118:8
PhD 2:12
PHMSA's 37:16 49:12
112:7 118:15 156:12
157:15 158:5,19
161:11,18 162:13
163:3,14 164:11
165:3 166:6 168:12
168:22 169:15 171:13
174:13 176:5 177:4
179:6 180:4,10
181:14 203:15 273:10
PHMSA-2016- 7:9
PHMSA-2016-0136 6:3
phone 24:9
phrase 96:21 194:14
physical 32:13
pick 117:12 124:5 239:6
261:18
picked 135:11
picks 226:7 241:2
pictures 33:5 143:7
piece 72:16 177:21
229:14

pig 55:15 119:12
277:13
piggability 163:19
piggable 139:9 140:19
168:4
pigs 139:11
pipe/construction
147:17
pipeline 1:3,5,12,17 2:3
4:9,17 7:8 8:12,22
15:10 32:7,14 35:19
38:18 42:3 47:3,6
49:13 51:8,12 59:12
59:17 60:11,15 73:1
117:2 118:9,16 119:4
119:14,17 120:10,12
121:12 124:22 127:14
137:13 140:17 142:22
143:14 148:5 149:19
149:21 157:13,21
158:4 159:18 161:17
162:1 165:8,20 166:1
166:9,12 167:14
171:9,15 172:8,18
173:10 179:18 188:4
192:15,22 198:15
200:19 206:18,22
207:20 208:16 220:1
220:22 223:19 237:6
248:15 250:6 251:4
251:12,14 255:20
256:7 258:5,9 259:5
277:2
pipeline's 157:11 168:8
189:4 251:10
pipelines 3:11,17 11:14
16:2 18:1 19:8 25:9
32:15 47:2,18 50:3
57:22 69:15,19 79:8
101:16 120:3 138:6
139:11 144:22 145:7
150:10 152:1,9 153:2
158:17 159:15 160:13
160:19 161:7 164:21
166:22 167:18,20
168:4 170:4,7 171:16
173:20 174:6 176:19
178:6 184:8,14,16
188:8,11,22 189:7,15
192:18 194:21 195:8
195:14,15,17 198:5
202:3 205:11,12
206:4,6 207:9 208:6
212:17 221:11 224:13
236:9,19,20 238:13
245:10 248:20 253:2
258:15,19 275:18
pipes 37:7 57:13 58:2

58:17 59:10,17 74:7
74:14 122:7 195:1,6
196:4 197:9 212:20
213:15 225:22 233:10
233:11 240:16 241:8
242:19,20 243:15
255:21 265:9,12,13
PIR 147:9 149:2 156:1
216:1,21 246:19
252:22 253:3,7,9,17
262:19
PIRs 215:21 216:18
place 14:9 41:3 56:9
59:7 117:22 118:3
124:2 125:3 196:19
202:5,10,12 215:7
222:11 225:2 236:10
248:9 249:2 259:1
270:3 276:11 278:13
278:14
placeholder 108:1
places 95:16 109:14
115:6,7 242:14
placing 202:3
plan 48:7 50:15,15
71:14,20 72:19,21
75:19 81:19,20 82:3
87:1 110:9,10 128:1
136:13 140:15 151:9
167:17 175:10 184:13
224:6
planning 106:13 262:13
plans 110:12 222:8
play 40:13 41:16
playground 143:12
please 5:11,19 17:16
55:6,9 161:2 176:8
187:16 215:16 246:15
255:8
pleased 17:21 135:12
195:22
plus 57:2
point 10:22 12:5,16
30:20 44:11 57:12
59:2 61:11 65:13,21
67:20 75:14 85:16
92:6,16,17 100:4
103:1 105:17 106:21
115:3 116:22 118:6
121:22 126:2 133:22
136:15,20 150:2
168:2 180:19 201:1
204:20 210:8 212:9
213:17 225:13,17
226:7,15 227:16
232:7 234:4 235:18
239:1 256:5 275:2
pointed 121:18 126:9

201:16
points 31:2 62:3 69:4
 95:6 152:10 185:20
 210:8
policymaker 124:19
populate 255:20
populated 118:10
population 64:14
 118:11 119:14 211:4
 212:14
populations 46:21
 85:19
portion 42:17 87:11
 137:3,10 142:12
 155:10 200:3 206:2
 224:8 230:19 276:17
 279:5,5
portions 115:5 203:9
 212:15
pose 213:15 236:19
 245:11
posed 206:6
poses 212:14
posing 212:17
position 83:4 194:9
 202:9
positive 18:22,22 19:15
 76:7
possibility 80:20
possible 64:1 98:22
 109:1 176:17 190:2
 208:20 222:20 238:19
 247:7 274:1
possibly 23:8 25:16
 93:10 98:11 102:14
 104:1 132:14 233:6
post- 209:12
post-construction
 165:9 191:3 209:14
post-incident 205:6,16
post-test 211:4
postponed 20:4
potential 144:1,21
 149:2,15,17 156:1,5
 182:18 199:20 208:16
 208:18 223:20 259:14
potentially 71:3 197:10
pounds 43:8 149:20,22
 150:3 216:12
PPIM 247:15
practicability 250:18
practical 17:12 74:3
 127:7 195:17 212:13
practicality 16:6
practice 175:14
practices 69:21 120:2
 124:2 192:14,20
 193:12

pragmatic 107:13
preamble 158:20
preceding 93:12 171:3
predicted 148:10,15,17
preexisting 163:5
prefer 93:8
premiere 227:9
preparation 194:8
prepare 26:4 155:5
prepared 27:8 95:1
 123:18 207:3 251:18
prerogative 106:18
prescribed 84:12 177:2
prescribes 176:14
prescriptive 96:16
prescriptively 119:21
presence 45:16
present 1:12 2:2,11,20
 18:12 37:20 39:6
presentation 23:21
 59:7 69:2 195:5,9
presentations 7:13
presented 210:18
 247:15
presently 42:10 157:6
preserve 6:8 26:10
President 8:16,21 9:5,7
 9:11,14 257:15
presiding 1:11 4:15
 5:20 6:15
pressing 161:4
pressure- 189:14 197:2
pressure-limiting
 137:19
pressure-tested 186:13
pressure-testing
 196:18 208:12
pressured 198:12
pressures 150:10
 171:18 172:9 216:9
 216:10
pretty 4:5 28:1 71:2
 101:20 107:16 207:8
 264:21 266:4 279:22
prevalent 143:6
prevent 245:7,16
preventing 245:18
preview 116:2
previous 114:7 145:22
 159:21 179:9 182:12
 188:6 220:5
previously 36:6 47:20
 138:9 162:2 164:1
 172:14 179:9 198:11
 201:2,16 205:11
 207:10 217:19,22
 224:14 275:18
previously- 138:5

price 60:16
primarily 200:17,20
primary 202:7
principle 145:19 146:6
 146:18
principles 31:4 47:21
 139:19,22
prior 141:13 188:22
 197:9 223:16
prioritization 167:12
prioritize 167:8
prioritized 118:12
priority 119:20 139:11
proactive 172:18
proactively 166:11
probability 248:14
Probable 228:5
probably 6:4 12:7,16
 21:9 23:16 80:3 81:18
 88:2 91:15 102:16
 116:18 120:16 136:15
 136:17,20 139:13,14
 141:1 150:16 216:15
 216:17,19 219:4
 230:19 244:16 269:1
 272:22 274:7
problem 55:20 96:5
 112:6 180:15 252:17
 269:15,17
problems 32:5 206:9
procedure 49:4,9 52:2
 90:13 109:18 110:10
 110:11 127:13 231:6
 239:10 274:8
procedures 110:13
 175:7 201:4,8 254:3
proceed 68:13 73:12
 111:18 129:3 252:18
 259:17
proceedings 6:12
process 3:6 11:22 14:2
 14:9 15:14 18:10
 20:15 22:5,7 23:15
 39:20 56:9 60:9 67:22
 68:6 70:16 71:3,12
 75:1 77:21 78:1 82:8
 82:9,16 84:4,5 92:14
 100:17 102:9 103:18
 107:14,18,22,22
 108:8,9,9 114:19
 126:10 146:7,9
 158:21 168:20 169:2
 175:7 176:6 180:7,11
 180:13 189:14 201:6
 239:20 251:13
processes 106:3 117:3
 168:19 203:17 221:21
produced 7:12

productive 132:7
 242:14
professor 8:20
profile 58:14
profiles 259:7,11 269:5
program 36:3 40:7 47:5
 50:14 54:3,9,12 57:16
 110:9 113:10,14,16
 117:13 128:1 129:18
 129:22 130:3 153:20
 168:18 190:19,19
 191:5 199:5 229:14
programs 10:14 52:14
 52:16 54:13,16 56:1
 113:18 130:5 212:7
 241:17 250:5
progress 18:3 24:5
 25:6 96:9 124:7 136:5
 235:16 281:2
prohibitively 37:8
project 175:8
projects 199:10
promise 125:17
promote 255:5
promoting 255:3
properly 117:21
properly-installed
 192:18,20
properties 33:9 37:7,11
 38:11,13,15 39:6,11
 40:1,7 42:1,8,10
 44:18,20,22 47:8 48:6
 51:14 52:5 58:5 79:14
 91:19 92:2,14 110:22
 123:3,4 128:9 138:20
 141:11 146:7 255:16
 256:4
property 53:10 189:16
 237:8
proposal 91:4 94:4
 153:18 182:2 198:15
proposals 22:20 92:18
 153:14
propose 17:8,14 20:17
 21:18 32:19 71:21
 94:12,20 96:8 205:14
 206:1 263:6,19
 275:14 279:2
proposed 16:21 17:7
 19:17 23:1 37:15
 38:12,13 39:19 45:1
 46:20 50:16,20 51:22
 52:7,8,13 54:21,22
 62:4 64:10 71:14 78:5
 86:11 94:17 100:19
 101:15 109:16 110:7
 110:14 111:2 122:3
 127:1,2,11,21 128:2,7

128:11 137:1 139:15
 146:21 149:4 152:5
 153:9,22 154:22
 155:7,8,8,17,22
 156:13,16 157:6
 159:16,20 160:11
 161:14 162:14 165:15
 165:21 166:19 167:15
 167:20 168:2,12
 175:10 177:4,9 180:1
 180:2,5,11 183:21
 184:1,16 192:8,12
 193:4,10,21 194:12
 198:2,7,8 199:3 200:3
 202:16 212:4 213:22
 248:7,17 266:14
proposes 155:16
 157:17 172:3
proposing 32:18 41:19
 46:11 67:12 156:9
 164:20
prospectively 163:1
 183:8
protect 234:17
protection 1:19 58:13
protocol 15:18
prove 250:2
proven 172:9
provide 49:3 50:1 54:11
 61:10 71:20 84:18
 113:15 130:2 157:18
 164:20 177:15 179:2
 194:17 251:3
provided 162:6 168:7
 171:22 173:1 194:10
 251:16
provider 46:4
provides 175:15 182:14
 245:14 251:7
provision 19:1,5,6
 77:20 80:14,17 81:13
 81:14,21 82:6 95:8
 101:15,21 102:1,10
 103:4 104:19 105:6
 105:11 122:2 232:8
 272:9 274:19,20
 278:8
provisions 19:16,18,19
 19:21 20:2,7 21:1
 48:21 78:2,4 81:14
 82:2 83:15 95:9,12
 96:1 102:6 127:4
 232:13 241:2
prudent 273:20
psi 37:12
public 1:15,21 2:15 6:8
 6:22 8:10,18 9:1,18
 37:14 55:3,5,20 67:7

70:19 90:3 119:1
 123:20 124:3,10
 126:4 139:16 183:22
 185:13,14 186:2,17
 186:18,21 187:3,10
 187:14 205:21 206:7
 206:8 235:22 236:1,9
 236:17,19 237:14
 239:13 246:13,14
 252:12,20 257:15
 259:22 260:1 261:4,9
 269:19
publications 177:14
published 14:10 16:2
 127:2 247:21
pulled 36:10 197:10
pulling 228:14
pump 60:13
pure 179:3
purpose 32:11 166:11
purposes 176:7
pushing 269:22
put 10:20 41:3 82:7
 83:9 92:7 99:8 103:12
 105:17 109:13 125:2
 141:5 143:7 150:15
 151:14 152:7 196:2
 197:11 204:9 217:1
 228:9 231:10,11
 234:7 260:7 267:11
 273:17 277:10,17
 278:14 279:11
putting 80:4 85:7 99:6
 123:4 124:21 228:10
 256:9 270:5 276:5

Q

quadrants 53:18,20
 57:2 64:11 113:4,6
 129:16
qualified 138:21 221:12
quality 183:7
quantify 248:15
quells 279:21
question 25:12 57:18
 57:19 85:13 88:8
 89:18 97:15 107:7
 114:17 116:18,20
 118:6,17,21 120:16
 120:17,21 207:3
 209:9 219:5 221:16
 222:16 223:8 224:17
 225:7,8,13,14 226:21
 238:12,18 239:16
 262:7 263:11 270:15
questions 6:22 7:3
 56:14 78:12 117:20
 121:8 123:11,13

191:13
queue 108:11
queued 107:19,20
queuing 279:14
quick 15:13 18:16
 80:22 94:16 96:14
 100:21 136:15 210:15
 276:21
quickly 15:18
quit 134:19
quite 155:2 211:7
 231:18 270:1
quorum 16:16,18

R

radar 242:17
radius 144:1,21 149:2
 149:17 156:1,5 216:3
 216:6
rail 60:18
rain 30:19
raise 67:20 69:4 70:19
 106:19 205:14 272:1
raised 70:19 89:6,7
 90:3 91:9 114:2,10
 212:3 233:3
ran 112:5 154:16
 277:13
range 230:10,12
rarely 191:2
rate 213:9
rating 51:16
ratio 154:3 232:22
rational 263:15
re-establish 31:15
re-verify 20:18
reach 103:7
reached 172:5
read 17:17 70:22 89:22
 94:5 101:14 108:19
 109:5 160:16 161:3
 184:5 190:4 209:2
 229:9 235:8 260:21
readily 60:5 195:19
 240:20 241:4
readily-available
 240:21
reading 99:22 214:2
reads 72:15 73:4
ready 29:8 55:3 94:12
 114:15 125:19 126:18
 133:15 262:21
real 15:13,18 80:22
 96:13 126:12 274:16
 276:21
reality 83:1 120:6
 237:18 278:7
realize 32:20 36:7 79:9
realized 31:21 228:3
realizes 37:12
realizing 43:19
reason 38:17 43:11
 44:19 45:1 58:8 66:20
 77:22 84:11 92:7
 95:18 214:22 256:5
 277:10,17
reasonable 17:11 23:14
 79:13 127:6 176:22
reasonableness 16:5
reasons 38:2 47:7 52:6
 59:10 128:10 218:6
 275:5
reassessment 266:12
 266:21
reassessments 19:2
reauthorization 25:5
recall 56:22 261:1
receive 72:21 111:16
 128:22
received 7:3 36:20,21
 68:12
receivers 19:4
recognize 116:17
 157:20
recognized 194:4
recognizes 126:3
recommend 54:18 62:5
 70:12 74:21 91:5
 107:22 132:16 186:20
recommendation 16:12
 18:12 81:1 137:7
 139:4,8 165:5 185:16
 193:19 230:5 231:22
 235:20 241:1
recommendations 31:9
 31:11 34:3 36:9,9
 97:4 117:9 125:7
 138:15 145:16 151:14
 161:22 163:22 174:4
 193:8 211:10,12,14
 213:1 218:17 231:9
 231:17 245:4,6 259:2
 260:20
recommended 36:12
 36:16 45:1 138:17
 155:13 160:9 164:17
 165:5 168:6 171:5
 173:19 202:8 247:18
 270:14 271:2
recommending 29:16
 146:10
recommends 139:5
 251:19
reconfirm 35:17 137:22
 164:7,9,12,14 174:12
 188:17 222:9 249:20

250:5
reconfirmation 47:17
 163:8,10,16 169:12
 195:11 198:1 205:4,8
 250:22
reconfirming 180:2
 188:8 250:19
reconvene 246:10
 281:7
record 7:12 19:18,19
 74:6 89:10 98:3
 103:20 106:14 123:19
 134:9,10 135:8 175:3
 188:18 201:20 227:9
 246:8,9 280:3
recorded 7:11
recording 135:7
recordkeeping 189:2
records 19:13 20:5,22
 22:3,8,13 31:7,12,13
 32:8,12 33:16,18 34:1
 34:11 35:9,13 38:1
 39:22 41:1 47:19 48:1
 49:12,13,14,22 51:3
 51:13,19 52:9 58:6
 64:21 86:4 109:19
 110:17 123:8 127:14
 128:4 137:15 138:1
 138:19 140:6,7,13,21
 142:8,10 143:20
 144:8,10,14 157:22
 158:2,8 161:21 172:4
 175:17 176:2 183:5,7
 183:8,10,12 188:11
 189:3,8,16 196:15
 197:2,3 198:10,13
 205:12 207:11 224:15
 232:15 233:5,9,11
 258:6
red 107:6,17
reduce 52:18 53:19
 113:6 129:16 147:22
 231:3
reduced 172:17
reduction 147:3,7,22
 149:4 151:1 171:5,21
 173:5,14,18 174:8
 185:4 246:18 253:10
 254:9
reductions 172:20
 173:3
reestablish 157:2
 198:16 220:3
reevaluation 152:18
refer 169:21 185:1
reference 64:8 79:1
 80:4 101:5 160:2
 184:22 266:12

referenced 100:18
references 94:16,21
 100:22,22 101:1,1
 102:2 276:9
referred 24:2 126:10
referring 137:8
reflect 32:12 65:8
reflected 97:1
reflecting 98:17
reform 24:21
reframe 202:20
refuse 6:13
regard 91:8,18 92:18,19
 97:14 114:4 127:4
 155:21 203:19 246:22
regarded 170:11
regarding 19:7 155:6
 168:15 176:12 180:6
 187:22
regardless 81:20
 163:18 170:12 188:13
 256:15
regards 168:7 201:15
 201:16,21 202:5
Register 16:3 127:3
 235:7
regroup 26:13
regulating 22:22
regulation 37:15 45:2
 91:16 92:8 104:22
 152:5 155:10 157:20
 198:8
regulations 14:3 36:1
 37:6 110:12 119:18
 138:4 160:10 165:6
 175:10 182:4 192:15
 199:19 201:9 232:16
 265:9
regulator 224:5
regulators 62:14 224:4
regulatory 1:13,20 8:13
 9:21 16:21 24:20,20
 68:4 71:12 82:9 126:1
 127:3
rehash 47:9 137:11,13
reinforce 12:5,15,16
 44:15
reinspection 182:1
reiterate 100:17 135:6
 236:16 245:1
rejig 226:17
relate 25:8 275:21
related 5:14 6:18 11:15
 12:19 19:21 23:9
 122:2 166:15 181:3
 182:19 183:5 192:9
 197:22 231:21 250:20
relates 203:13 232:12

248:5
relating 25:10
relatively 167:13
relayed 11:21
relevant 93:20 94:22
 225:20
reliability 199:20
reliable 63:9,11,13
 101:17 259:17
relied 175:2
rely 106:11 201:9
relying 170:20
remainder 70:22
 136:18
remaining 20:3 28:8
 58:1 147:19 148:3,14
 152:18 177:5 181:22
 182:11,15
remains 70:8
remarks 3:5 5:19 10:17
 135:20 136:1
remediate 234:6
remediation 48:2
remember 78:15
 108:10 245:3 258:22
 260:22 262:6
remind 122:1
reminder 117:14
removal 155:14 178:16
remove 59:12,12 77:20
 109:16 127:11 164:18
 165:20 181:10 184:4
 250:19 275:20
removed 74:21 160:10
 162:9 221:11
removing 70:12 81:19
 95:7
reopened 103:13
reorganize 53:3
repair 22:3,17 38:10
 43:2 59:16 65:7
 112:12 122:11 123:2
 129:8 192:18
repaired 59:18
repairing 231:7
repairs 40:15,18 41:2,5
 41:13,15 52:6 65:5,15
 65:16,18 120:8
 128:10 182:11
replace 54:6 113:11
 129:19 166:22 198:9
 275:11
replaced 47:7 194:13
 197:13
replacement 59:16
 148:21 186:11 198:16
 199:5,10 200:2,11
 256:7 264:6,7

replacements 246:18
replacing 147:6 195:20
 234:13
reply 52:21 72:11 73:11
report 32:9 33:12 64:16
 119:11,20,22 142:6
 224:4 229:9 246:22
 251:18
reportable 147:16
 161:7 162:7,21
 164:21 165:21 220:1
reported 33:14 64:19
 65:7 120:7 137:19
 145:13
reporter 252:14
reporting 19:22 22:21
 65:5
reports 33:6,7
represent 177:9 195:8
representative 183:16
represented 104:20
representing 8:10,13
 8:17,22 9:6,9,11,14
 9:19,21 192:4 257:15
repressure 181:17
 191:6
request 16:13 252:10
requests 175:19 178:16
require 21:12 35:16
 37:5 38:11 41:10
 42:17 46:20 54:11
 56:10 67:22 68:5
 71:13 110:16 113:15
 113:16 116:3 128:4
 130:2,4 163:8 165:6
 175:6 179:20 182:20
 208:15 222:8 231:12
 265:9 272:7
required 16:12,16
 38:16 41:21 44:12
 49:4,10 51:10 67:17
 68:9 69:11 79:21 80:7
 99:1 109:20 115:6
 119:16 120:13 127:15
 137:14 146:16 153:2
 157:16 158:18 160:5
 163:10 166:2 167:6,8
 167:18 169:11 174:18
 178:12 181:18 182:4
 184:13 189:3 196:14
 206:10 221:18 248:18
 278:2
requirement 45:14
 52:11 53:13 54:6 61:3
 112:15 113:11 129:10
 129:20 152:7 158:16
 167:7 173:12 181:10
 183:12 188:17 189:13

208:13 214:14 225:3
245:18 249:19 263:9
270:12
requirements 20:1,19
20:21 21:4 22:21 23:9
38:10 39:15 42:7
43:21 44:1 45:21 53:4
53:16 54:4 68:4 76:1
110:8 113:1,10
127:22 129:13,18
151:13 157:8,11,12
159:20 160:17 162:8
165:22 170:6,22
173:19 174:17 183:6
184:5,6 188:20 189:2
190:17 196:12,19
198:13 235:10 250:17
250:20
requires 138:4 159:10
167:9 171:1 195:10
208:2 217:18 224:6
247:16
requiring 44:9 176:20
research 2:6 153:13,20
177:9 212:7 237:3
260:8
researches 258:3
reserve 107:20
reset 265:18
reside 202:11
resources 2:18 9:17
124:22 125:2 166:22
237:12
respect 54:2 59:2,4
60:19 120:14 123:17
212:12 249:16 257:5
257:21
respond 66:3 68:2 85:7
96:3 101:7 106:6
119:15,17 207:22
211:13 223:7
responding 101:10
responds 159:3 170:6
177:8 183:9
response 32:5 48:1
83:22 84:1 103:6,14
103:15 130:17 134:3
157:15 158:5,19
161:11,18 162:13
163:3,14 164:11
165:3 166:6 168:12
169:15 171:13 174:13
176:5 178:18 179:6
180:10 182:22 183:22
191:14 204:1 205:6
205:16 206:17 223:9
261:11 264:3,8
responses 183:18

201:18
responsibility 85:2
118:15
responsible 85:3
130:19 259:12
responsive 165:4
rest 35:10 221:21
restored 166:3
restrict 38:6
restriction 190:16
restrictions 141:8
restrooms 5:3
result 117:2 177:5
results 25:3 31:22 32:9
40:2 46:2,3 66:18
152:20 177:10 179:11
249:9 259:22
retain 51:11 52:3,11
53:8,12 110:20 111:8
112:15 128:7,18
129:10 183:7 191:8
retaining 52:1,4
retest 179:20 182:1
retroactive 183:11
retroactively 163:2
return 134:6 166:4
224:2
return-to-service 222:7
224:6
returning 223:17
reverify 51:8
reversal 258:17
reversals 259:8
review 32:1,8 52:20
85:6 100:21 107:22
111:20 129:4 180:17
185:7
reviewed 145:21
183:15
reviewing 14:3 116:9
revise 48:14 112:8
129:5 159:15 161:6
179:1 183:21 184:12
185:1
revised 48:14 160:12
163:1 171:6
revising 50:20 160:16
168:2 196:12
revision 77:1 155:17
173:11 184:1
revisions 91:3
revisit 98:8 106:20
reward 134:4
reword 155:15
Reynolds 2:18 200:15
200:16 203:11
Rich 9:16 243:18,19
Richard 1:19,21 2:15

2:16 131:12,14 203:7
Rick 8:9 257:14
risk 119:1,2,3 140:2
195:9,12,22 206:6,7
207:16 208:3 212:17
213:15 215:8 216:2
229:14 237:5 238:8
245:12 254:12 259:11
269:5
risks 121:5 242:20
251:13
road 125:11
Robert 1:18 2:5 8:6
10:7 130:11,13
Rocky 1:22 9:17,18
243:20
rods 67:1
role 121:10
roll 8:2 130:21
ROLLET 1:17
rolling 162:11
romanette 275:15,20
Ron 9:10 114:2 131:18
214:18 276:19
Ronald 1:14 214:16
room 5:4,5 29:14
102:19 116:12 139:13
233:22
RSTRENG 43:6,12
123:1
rule 3:7 6:3 11:16 12:10
12:22 13:8,11,19 14:1
14:5 15:7,11 16:21
18:15 19:7 22:20
23:17 38:12 42:6
54:22 61:5 62:1 66:11
78:5 94:18 115:9
117:4 121:21 122:2
127:1,2 144:18
146:17 153:9 156:16
158:21 160:7 162:10
162:14 163:4 166:19
167:8 168:2,13 173:8
173:17 177:5,13
180:11 194:12 196:21
198:2,15,20,22
199:22 202:16 214:1
230:15 240:9 248:7
248:17 266:14 272:7
272:21 274:21 278:17
278:22
rule's 173:6
rule-making 79:5
rule-writers 13:22
rule-writing 13:14
rulemaking 2:5,5,8,10
10:4,6,8,10 15:10
52:8 58:9 119:10

139:15 140:16 175:15
194:18 197:21 201:5
205:10 224:19 245:8
rules 14:10 17:19 58:13
156:10 196:19 264:17
run 14:15 152:13 155:2
255:22
running 38:19 148:9
189:22 273:13
runs 260:2
rupture 150:18 233:1,1
233:8,19 256:16,22
260:3
ruptures 174:4

S

safe 33:2 38:7 42:14,19
77:4 85:3 141:14
188:3 221:18 222:9
safely 38:18 172:9
174:20
safest 83:8
safety 1:3,17 2:3 3:10
3:16 4:17 8:12,22
11:13 15:10 16:1
17:22 19:3 35:20
37:16 39:3 60:22 73:1
77:3 79:8 86:8 119:1
121:12 124:3,20
125:1,1 137:13 158:4
161:17 162:1 166:4
169:12 173:10 177:12
181:18 208:16 223:6
224:10 234:17 236:20
238:8 247:5 250:9
sake 39:1 66:13 70:4
sample 17:9 40:5 45:2
46:21 54:2,8,8,12
64:8 66:13,14 88:4
113:13,13,16 129:21
129:22 130:3
samples 37:18 46:11
48:9 146:10
sampling 39:20 52:4,13
52:16 53:4 54:4,13,15
55:17 56:4 66:7 88:5
88:6 111:18 113:11
113:18 129:2,19
130:5
San 31:8 36:12 37:3
45:5,9 49:20 74:9
138:14 175:12,13
271:3
Sander 2:18,18 55:8,11
55:12
Sara 1:17 8:19 77:16,17
77:18 80:22 95:5
97:16 101:10 114:11

131:20 206:15,16
 207:15 208:22 222:14
 229:19 232:1 233:20
 235:2 239:1,11 270:9
 270:10 278:4
Sara's 277:12
satisfactory 114:11
 141:18
satisfies 157:12 188:17
satisfy 84:2 198:13
satisfying 114:18
Satterthwaite 2:9 10:3
 10:4 130:20 131:4,6,8
 131:10,12,14,16,18
 131:20,22 132:2,4
save 132:17
saw 61:22 213:7,21
 266:11 271:1,2
saying 27:11 36:4 50:3
 50:15 51:6 72:10 77:6
 82:18 87:2 91:12
 187:3 227:13 233:3
 260:2 277:18,18
Sayler 2:8 10:5 17:20
says 61:6 62:10 72:14
 72:21 79:21 80:5
 113:5 115:18 210:19
 215:7 217:18 244:7
 253:9 255:12 267:14
 277:1
scenario 98:1 168:3
schedule 26:17 166:15
 199:4
scheduled 68:14
school 1:18 8:20
 143:12
Science 61:10
scientist 269:9
scientists 57:11
scope 119:9 155:19
 164:2 245:2,13
scoping 89:19 90:5
screen 140:4 185:19
 190:3 242:17
scribe 17:16
seal 85:7,8
sealed-only 202:20
seam 36:16 45:4,4,10
 45:17,17 47:1 51:15
 57:2 76:17 139:4
 141:12 154:4 165:13
 170:18 171:2 176:15
 177:17 251:22 271:4
seamless 45:6,7
search 31:12 172:3
seats 4:4
second 17:12 18:18
 39:4 59:14 66:2 96:12

98:11 109:15 130:10
 130:12 136:11 152:17
 184:3 190:15 191:22
 220:11
seconded 17:5 130:14
secret 258:18
Secretary 13:13 138:12
 150:14 182:5,9
section 14:22 20:16
 25:7,7 31:19 32:6
 35:15 37:10 49:7
 51:17,17 70:7 78:21
 80:6 93:6 95:21
 100:16 101:3 105:7
 109:13 119:13 123:18
 137:1 146:1,15
 154:13 155:9 157:9
 160:3,14,18 161:19
 162:2 164:1 181:13
 182:3 184:7 185:18
 192:3 196:22 197:5
 197:10 198:20 202:7
 202:12 205:15 206:9
 206:20 207:13 208:1
 208:13 221:3 224:12
 224:16 226:13 227:6
 227:12 255:14 263:7
 263:12,13,14,21,21
 266:22 267:9 278:21
sections 11:18 12:9,12
 42:16 45:15 49:5,11
 51:10 67:18 78:20
 93:12 94:22 101:11
 104:20 105:8 108:3
 108:11 109:21 110:2
 110:4 116:8 126:11
 127:16,20 137:2
 146:2 208:5 249:7
seeing 68:21 70:20
 204:2
seeking 12:20 277:22
seen 55:20 66:17 90:20
 121:2 139:14 241:12
segment 40:6 42:9
 141:18 147:19 157:14
 159:11 171:2,15
 190:17 220:1 257:7
 277:2
segment's 157:12
segment-specific
 148:11
segments 32:8 38:8
 40:3 47:6 56:3 116:4
 137:15 138:1 140:4
 140:18 147:15 157:21
 159:18 162:18 163:20
 164:11 165:20 167:10
 169:7,8 172:18 178:8

184:20 195:14 199:8
 249:21 274:7
seismicity 19:5
select 146:21 207:7
selected 178:7
selecting 200:11
selective 45:17 154:3
Self-Introductions 3:3
 3:4
Senior 9:4,13
sense 68:8 69:17 84:5
 88:7 97:13 101:2
 105:22 107:17 108:6
 108:7,14,15 109:6
 207:18 234:19 236:11
 263:16 265:4
sensible 271:18
sensing 60:7
sensitive 28:17 118:10
sent 90:17 268:22
sentence 190:15
separate 21:9 47:12
 53:4,5 85:19 168:19
 169:2 186:4
separately 47:16
separating 74:1 280:1
September 29:15
series 44:1
serious 260:19
seriousness 167:3
serve 4:13 26:6 55:12
 169:6 203:8 242:3
service 1:15 46:4 148:6
 166:4 189:7 192:21
 200:9 220:2 223:17
 224:3,9 232:4 251:8
 270:1,6
Services 1:20 9:8
set 6:2 7:21 12:2 27:12
 27:18 75:17 83:14
 87:9,16,18 96:15 97:4
 223:3,5 225:22
 226:12 232:12 237:16
 265:11,22 278:16
sets 238:5,7
setting 21:19 31:3
 226:3 265:6 266:2
 278:6
setup 46:10
seven 152:19 200:19
seventies 237:19
shaking 244:19
shalt 115:19
shape 119:4
share 74:17
sharpen 77:13
shock 15:20
short 5:21 203:11,20

239:1 246:2
shorten 184:3
shortened 247:20
shorter 274:7
shots 30:4,9
show 24:5 25:3,6 64:14
 198:10
showed 216:9
showing 216:12 230:20
shown 216:13
shows 43:20 46:5 70:21
 105:20
side 96:14 97:3 108:14
 142:21 206:1 235:6
sidebar 105:15
sideways 210:10
sight 258:1 259:3
significant 14:5,7 32:2
 161:16 197:12 213:15
 237:7 238:8 243:1
 245:7,12
significantly 161:14
 179:1
silence 5:11
silent 50:22
similar 6:19 46:22
 271:10
Simon 2:12 56:18
 254:15
simple 49:19
simplify 106:2
simply 37:22 49:3 51:2
 83:18 97:17 154:1
 160:12 239:19
simultaneously 199:9
single 16:10 53:6 94:20
 112:10 129:6 168:20
 250:7
singularity 183:18
sir 56:17 61:19 67:8
 73:9 187:1,17 191:18
 196:8 249:13 255:4
sites 143:5
situ 64:7 65:13
situation 63:22 83:5,10
 167:3
situations 53:6 112:9
 129:6 236:7 256:3
six 73:19 74:6 92:11
 146:20 164:13 168:7
 168:9,14 188:16
 261:20
size 143:22 248:14
 256:15
skeptical 92:13
skin 104:2
slide 16:20 32:4 33:11
 45:19 55:16 59:3

- 62:17 87:1 96:16,17
96:19 112:14 136:10
136:14,14 137:12
155:3 161:2 179:9
189:22 190:1,6
201:17 209:8 218:2
230:20 255:8 266:11
268:20,21 269:1
- slides** 17:19 47:11
50:11 59:3 76:12 97:1
136:17 154:18,21
183:20 266:13 267:5
- sliding-type** 142:20
- sliver** 46:17 121:19
- small** 41:8 56:8 63:22
89:8,19 90:5 121:19
149:1,13,14 155:22
167:13 195:7,7,8,11
196:3 207:1 214:13
230:17 244:15 246:18
252:21 253:2,3,12
254:12 262:19
- smaller** 28:7 41:9 56:2
56:2 88:4 144:20
147:8 149:13 195:1
215:1,3
- smallest** 244:4
- smart** 139:11
- SMS** 121:11 125:9
- SMYS** 138:8 144:2,3,13
149:1 153:4,10,19
154:1,7,8 156:6
163:12,20 173:21
174:1,3,5,7 175:20,21
176:3 198:6 199:1
200:1 205:21 212:13
215:2,4,6 217:22
232:11,19,21 233:3
233:18 237:1 243:22
243:22 244:16 245:17
253:3 271:13 274:2
- sneak** 134:16
- solely** 38:14 164:9
- solid** 49:2
- solution** 56:21 60:2
71:15 179:4 205:22
271:19
- solutions** 213:17
- solve** 237:14
- solving** 234:2
- somebody** 62:13 63:2
64:2 83:6 115:13
272:4
- sophisticated** 260:8
- sorry** 10:22 11:3,4 50:9
77:18 99:12 100:11
174:2 207:15 235:1,2
238:10 239:5 252:7
- 275:9 280:17
- sort** 25:2 28:9 38:10
77:12 83:13 99:6
103:18 104:22 105:18
116:20 217:16 218:12
236:8 272:15
- sound** 124:3 175:2,4
188:2
- sounded** 219:8,12
- sounds** 135:11 154:16
220:3
- soup** 4:5
- south** 1:19 8:6 29:18,22
- southern** 2:16 110:6
203:7,9
- speak** 55:5 99:9 120:16
135:9 190:6 202:2,22
203:13 252:11 256:11
257:10 261:10
- speakers** 188:7
- speaking** 6:13 7:20
24:17 56:21 213:1
214:20
- speaks** 106:1 239:10
255:8,15
- special** 90:18 256:1
- Specialist** 2:7
- specific** 26:9 51:1 54:9
56:11 58:7 69:6 70:9
87:4 102:2 113:14
116:8,19 121:19
129:22 181:2 188:21
202:6,14,21 207:3
208:12 229:10 231:21
250:3 253:2 263:18
267:10 268:4,13
- specifically** 11:17
55:17 98:19,20 99:1
117:10 155:20 169:9
183:15 193:16 201:15
202:2,10,16,22
209:22 214:21
- specifically-defined**
158:16
- specifications** 53:12
112:14 129:9
- specified** 40:6 52:2
54:3 113:10 129:18
144:7 156:3 160:4,20
184:8
- specifying** 48:8
- spectrum** 230:2,3,10
- speech** 261:6
- speed** 24:4,4 25:2
222:21
- spend** 57:16 214:20
- spent** 211:7
- spike** 36:15 138:18
- 147:1,15 153:1,8,11
153:14 169:10,13,15
212:3,7 246:22
247:17,19 249:20,21
250:2,10 258:14
264:20 265:3,11,12
265:18 266:1 268:6
268:11 269:4,8,15
270:12,15 271:6,6
276:10,14,15
- spirit** 260:5,10 261:2
- spoke** 56:22 203:12
- spoken** 252:10
- spot** 276:13
- spots** 276:14
- spread** 195:15
- squeeze** 28:20 212:21
215:10
- stability** 36:16 139:4
165:17 250:3
- stable** 36:18 139:7
165:8,14 247:13
- stack** 58:6
- staff** 2:2 3:4 10:2 13:13
14:21 91:8 97:6
- Stafford** 1:10
- stage** 21:19 27:13,18
31:3
- stairs** 5:7
- stairwell** 5:10
- stakeholders** 14:11
24:14 28:3 133:1
- stamp** 39:18 146:14
- stand** 61:15 261:3
- standard** 52:7,15 54:15
64:9,9 111:2,5 113:17
128:11,15 130:5
169:19 178:20 268:8
- standards** 2:4,5,8,9
10:4,6,7,10 15:9
175:16 211:19 235:8
- standpoint** 48:20
103:19
- stands** 274:22
- start** 8:3 14:13,21 15:4
21:7 23:21 25:19 87:6
133:18 252:9 262:12
- started** 4:4,6 31:7 37:13
40:20 216:8
- starting** 18:7 73:20
109:8 122:8 218:8
240:17
- state** 1:15 10:13 62:14
112:5 159:16
- stated** 115:2 141:4,22
142:9 146:19 148:20
175:1 179:9 181:21
247:6
- statement** 67:10 220:16
- statements** 48:15 188:6
192:22
- states** 111:22 168:13
183:1 196:17 200:20
244:10
- stating** 111:15 128:21
- station** 60:13,14
- statistical** 48:7 52:11
55:18 56:3 67:21
111:3,6 128:12,16
- statute** 17:1 232:14
- statutory** 19:1,5
- stay** 152:7 259:13
- stays** 42:4 148:5
- steam** 199:12,15
- steel** 109:10 127:9
137:17 138:6 145:6
160:13,19 176:18
184:7
- step** 55:6 58:22 125:6
126:7
- Stephen** 1:13 100:5
131:22 209:6
- steps** 124:19 125:3,11
239:17
- Steve** 8:11 10:11 15:5
20:20 21:18 29:7
55:16 57:14 66:3 72:8
73:9 76:9 77:19 78:8
85:20 89:16,21 90:7
100:8 114:22 117:5
121:14 122:12 125:17
125:21,22 135:21
154:15 162:2 209:7
209:19,21 210:16
219:6,7 222:15 225:4
225:5,6 227:1,20
230:14 234:16 244:17
266:11 269:11 270:18
- Steve's** 69:1 279:15
- Steven** 85:13
- stick** 210:10 255:2
- stitched** 154:3
- stop** 100:5
- storage** 244:8,11,13
- stories** 143:6
- straight** 5:4 131:1
265:20
- straight-up** 270:16
- straightforward** 264:21
- strange** 207:6,6
- strategic** 25:15 26:14
- strategically** 25:20 26:4
- strategize** 132:21
- Street** 1:10
- strength** 25:9 33:8,8
37:11 42:13,13,21,22

43:4,7,13,14,15 44:2
 44:3 46:6,6,9,10
 49:16 51:15,15 57:13
 63:7 138:5 144:7
 171:19 175:22 217:19
 251:10
strengthening 21:4
 23:7
stress 45:16 148:22
 149:14 151:16 153:3
 155:15 169:16 210:18
 210:20 211:2 212:8
 212:16 230:18 237:6
 250:1 276:15
stresses 195:2 206:5
 245:11
stretch 41:20 143:1
striation 215:3
strikes 82:2,15 102:21
 103:5 236:6
stripped 175:4
stripping 82:1
strongly 234:4 279:22
struck 105:6,11
Structural 251:19
structure 213:11
struggle 69:5 205:2,7
 207:12 269:22
struggling 269:7
studies 247:9
stuff 17:2 105:13
 239:14,19 280:10
style 202:20
subcritical 177:6,7
subdivision 143:13
subject 38:9 93:22
 152:21 159:18 165:9
 167:19 171:18 184:15
 258:17
subjects 27:8
submit 52:12 71:14,20
 72:19,20 111:3
 128:13 171:20 204:4
 263:9
submitted 6:1 111:7
 128:17 251:17
submitting 72:5 76:5
subpart 44:19 137:5
 158:1 159:21 161:8
 164:20 169:21 171:9
 181:6 185:2 188:9
 196:12,15 205:13
 233:10 250:7,8
 265:19 268:7 275:16
subpart-(j)-type 153:16
subsequent 219:11
subset 162:21
substantial 175:6

substantiate 32:2
 137:16 174:18
substantiated 31:14
substitute 193:20
subsumed 104:8
success 11:20 75:17
successful 134:13
 162:20 203:18
successfully 238:5
 279:19
sudden 107:11
Sue 62:8,8 217:13
sufficient 26:19 174:20
 179:7 189:16 205:13
 207:11 250:9
sufficiently 101:5
 159:22 166:3
suggest 50:19 53:2,22
 77:4 132:17,20 133:3
 183:19 210:12 275:4
suggested 161:5
 162:22 176:12
suggesting 71:16
 186:16
suggestion 57:1 104:17
suggestions 106:6
 187:13 231:13 234:16
 269:12
suggests 48:12 50:13
 51:20 166:8 181:9
 269:14
suitable 169:16
support 48:1 62:4 63:4
 64:11 67:11 163:21
 170:1 172:11,21
 173:11 175:8 180:15
 188:19 192:22 201:1
 201:20 202:13 207:11
 248:6
supporting 47:19
 188:12
supportive 48:4 67:10
supports 160:1,16
 168:2 187:21 197:20
 201:12 253:1
suppose 102:22
surveys 55:21 149:5
 151:3 231:6 254:5,6
survive 251:6
susceptible 152:11
sustained 172:5
swing 132:19
system 32:3 54:9 65:11
 87:5 113:14 117:2
 118:16 120:18 121:2
 129:22 188:4 195:13
 198:4,6,9 199:9 200:3
 219:3 244:15 249:7

258:6,10
systems 47:6 85:4
 120:17 216:11,11,16
 259:6,9,10

T

table 8:4 24:16 26:6
 40:17 43:21 93:17
 146:15 217:2 266:5
tabled 22:12
tag 15:6
taken 45:2 57:8 93:6
 134:1 173:3 180:19
 189:7 272:8 274:19
takes 26:12
talk 25:17 26:2 27:8,14
 69:10 85:19 117:15
 136:21 215:15 224:20
 224:21 232:19 243:4
 254:17 270:11
talked 12:18 24:14 31:2
 35:1 44:6 55:16 85:15
 109:15 137:12 146:8
 201:17 213:14 227:6
 240:8 269:3 279:16
talking 31:18 41:8
 46:20 74:12 84:11
 90:12 105:15 106:9
 133:18 137:6 142:9
 150:7 151:8 152:4
 206:19,21 211:8
 213:8 223:2 225:15
 225:16,18 232:18
 262:13 280:17
talks 219:22 232:14,15
tap 256:2
targeted 206:4,6 249:22
task 68:17 188:21
tax 241:9
team 15:6 58:11 238:2
technical 9:8 16:5
 148:12 177:14 193:17
 257:11
technically 17:11 127:5
 240:16 276:13
technique 263:17
 267:11
techniques 192:10
 193:21 194:3,12
 201:18 202:1 203:17
 236:18 240:21 248:10
technologies 2:13
 164:6,15 177:14
 240:22 241:5 255:18
technology 56:20 63:13
 63:17 64:1 90:11,16
 147:10 180:6 186:11
 211:21 246:19 261:15

262:1,3,11,17,20
 263:1
tee 92:20
teleconference 2:20
telephone 23:8
telephonic 23:5,10
tell 16:8 38:22 47:10
 190:18 262:10 272:16
 274:14
telling 50:5
tells 232:5
ten 35:9,11 65:19
 115:20
tenants 13:10,18
tensile 33:8 42:13,20
 42:22 43:4,11 44:2
 46:6,10,12,14 51:15
 63:7 175:22
tent 7:21
term 202:16 276:5
terminologies 202:6
terminology 17:1
terms 13:4,5,10,18 56:9
 81:19 116:19 124:8
 155:22 197:5 202:11
 227:6,10 232:11
 236:8 238:18 258:2
territory 200:10
Terry 1:20 9:20 132:2
tested 36:6,14 46:18
 74:5 138:9,18 179:19
 188:9 189:15 190:17
 198:12 205:12 207:10
 212:9 213:15 214:2,7
 217:22 224:14 265:10
 274:4 275:19
testing 36:1,2 37:18,22
 39:10,14 57:1,12 64:7
 65:20 82:4 91:18 92:3
 92:10 112:22 137:5
 138:2,3,10 146:12
 164:10 168:17 169:2
 169:3,13,15 175:7
 181:8,17 182:5,7,12
 188:14 189:6 195:21
 197:3 212:3,5,8 222:9
 232:16 234:13 235:10
 236:2 242:2,22
 246:22 247:14,17,19
 248:9 249:21 250:8
 250:12 251:10 258:11
 259:15 262:14 265:2
 265:18,20 268:5,6,16
 276:14,15
tests 31:15 45:16 46:1
 48:22 53:19 59:4
 65:13 69:22,22,22
 74:19 128:19 129:17

- 138:4,9 156:7 165:16
170:21 188:10 191:4
196:16,20 207:12
209:15 217:18 246:17
250:2 254:3 256:8
text 13:8 78:4 79:19,20
80:12,18 184:4
texts 81:15
thank 4:7 7:6 8:4 10:1
11:8 17:17,18,19,20
29:5 55:2 56:15,16
57:4 61:9,12,17,18
65:22 67:6 68:18,20
72:6,7 73:8,13 76:8
85:10,12 89:2 92:15
95:4 98:15 104:11
113:22 126:14 130:9
132:6 134:7,14,21
135:2,16 154:15
185:9,11 189:17,18
191:15,17 194:16,19
195:3 196:6,7 197:14
197:15 200:13,14
201:10 203:3,5,20,21
204:17 206:12 208:21
210:1 213:5 222:13
229:1 245:20 247:22
248:1 249:11,12
252:4 254:13,14
255:16 257:12,13
261:7,8 263:22 264:1
266:7 268:16,17
269:3 270:8 276:18
276:20 279:7 281:1,5
thanks 7:5 11:12 50:11
69:3 94:2 134:11
204:11 213:2 214:17
221:7 225:9 236:13
275:7
thickness 38:5 42:12
51:14 58:1 76:17
87:11,12,13,19
141:11 257:3 273:14
273:19 277:15 279:17
things 13:9 24:4,4,8,18
32:16 34:17 43:6 44:3
44:5 59:1 62:6 63:19
64:14 66:8,22 67:1
78:16 92:3,5,9 121:9
122:4 141:16 147:17
151:3 152:3 186:12
222:8 234:15,17
235:6 238:6 241:11
241:15,18 242:19
260:9 261:1 276:9
277:15
third 11:15 17:13 110:7
111:14
thirties 235:11
thorny 25:22
thorough 14:3
thou 115:19
thought 4:11 5:13
15:16 27:22 30:20
37:19 54:19 72:18
79:12 89:14,17 100:3
101:7 104:16 213:2
213:21 219:8,18
260:12 274:6
thoughtful 88:14,15,22
thoughts 27:20 149:11
272:11,16 275:10
thousand 35:8
threat 177:21 208:7,16
212:15 236:19 242:3
242:11,12 243:2
258:9
threat- 208:11
threats 153:5 171:2
193:16 208:5,10,17
223:20 241:9 243:14
251:13 258:16 268:14
269:16
three 17:6 19:10 20:13
22:10 26:12 31:9
58:20 60:8 86:17,20
96:17 109:3 183:20
254:19 255:18 280:2
throw 24:22 244:2,17
thrown 23:1
THURSDAY 1:7
ticket 28:10
tie 94:19 101:2
ties 105:7,12
till 25:21
time-dependent 249:22
timeframe 115:10
162:11 180:16 185:6
200:4,7
timeframes 166:18,19
timeline 114:18 115:1
timelines 116:8
timely 52:20 180:17
185:7
times 36:17 60:17,18
65:19 82:21 120:9
139:6 147:15 150:20
153:11 154:7 247:11
254:1 265:5 271:14
times' 101:1
timing 115:7
title 109:13
Toczyłowski 2:19
197:17,18
today 4:12 7:5 15:16
27:9 28:2 60:6 61:11
67:12 78:7 102:17
123:14 126:11 133:6
146:11 151:8 188:6
203:18 207:2,4
209:22 227:19 228:13
228:17 254:18 255:17
257:1 261:16 265:9
280:18 281:2
today's 4:18 11:13,17
told 135:6 230:5 278:1
tomorrow 102:17
226:12 280:18 281:4
tomorrow's 28:21
tool 163:13 242:12
249:3,22 255:22
268:11 269:4,18
tools 57:11 61:12
117:22 118:3,4
240:21 241:5 242:4
277:16
top 41:1,4
topic 11:17 14:16 20:8
59:22 70:18 183:19
187:1 257:5
topics 6:21 15:16 18:11
18:21 19:10 22:14
24:7 28:2,19 93:20
154:22 197:22
total 34:5,9 76:1 142:14
144:10 145:8 153:15
totally 124:16
totals 40:16
tougher 186:9
toughness 44:8,17
176:14,15,17,21,22
251:17,21,22 252:1
256:19
traceable 47:18 51:12
101:17 146:5 157:21
170:10 176:1
track 229:3,16
Trade 58:11
traditionally 224:22
traditionally 232:21
trains 5:12
tranche 280:6
TransCanada 2:13
194:21 195:13
transcript 7:12,13,21
transition 217:20
transmission 1:17 3:10
3:16 11:14 12:11,12
16:1 17:22 36:4,5
41:14 57:22 61:21
65:11 109:11 127:9
137:16 138:6 141:2
145:6 158:17 159:18
160:13,19 162:4
168:18 184:7 188:8
189:15 193:6 196:10
198:3,9,11 199:6
200:9,19 202:3 230:4
233:13 242:8 244:3,9
244:12,13,17 248:4
248:19 258:19,21
transmission's 32:3
ransom 265:17
Transportation 1:1,13
2:7 4:20 247:2
traumatic 30:18
TRC 2:16 191:21
treat 36:17
treating 139:6
trick 4:5
tried 37:20 54:20 79:12
236:21
trigger 84:7 95:11,14
207:15,16,16 232:7
triggers 102:10 206:21
triple 74:18
trucks 60:19
true 279:9
truly 13:16
Trust 1:17 8:22
truth 278:1
try 69:7 88:12 94:18
96:9 134:17 142:6
219:17 242:16 243:9
260:9 261:1
trying 21:17 22:5 24:3
25:18 38:4,22 40:10
43:14 67:19 79:20
85:16 86:10 100:11
104:8,12 117:12
143:21 144:17 193:18
208:20 211:9,17
212:2 217:12 225:22
239:3 240:19 241:22
242:1 245:3 259:7
260:18 261:4 265:14
275:13,17 277:21
TTO 247:1
tucked 205:22
tunnel 18:6
turn 4:21 6:21 7:1 10:16
14:14,19,20 15:3,4,12
23:19 68:22 134:22
135:19 136:1 154:13
201:6 253:11 261:12
turned 266:18
turning 185:13
turns 30:1
Turpin 1:20 9:20,20
132:2,3
TVC 76:1 188:18 196:16
tweaks 110:5

two 10:21 12:9,11 20:12
21:6 27:3 41:1,12
47:12 53:18,20 57:2
58:12,16,20 59:10
60:14 64:11,13 69:4
89:16 90:2,7 96:20
107:1 108:22 113:4,8
129:17 168:19 206:11
226:16 232:13 254:20
256:5 258:4 263:5

two- 254:18

Tying 173:7

type 20:21 33:7 34:3
39:15 43:6,21,22 44:1
45:4,4,10,10,11,13
46:5 47:1 48:22 49:21
49:21 51:16 54:22
66:11 67:1 76:17
79:15 80:8 87:18
112:21 141:12 145:5
145:18 146:16 150:10
152:15,16 202:14,21
203:1 208:7 222:18
231:5,6 258:8,16

types 63:21 202:6

224:1 248:8 249:4

250:3 258:15 276:9

typically 220:8 195:6

222:6 223:10,14

241:19

U

U.S 1:1 247:1

ultimate 42:20 175:22

ultimately 104:21

unanimous 132:4

uncertainty 157:7

unclear 181:21

underbrush 28:9

underestimate 258:13

underestimated 198:17

underestimates 198:15

understand 63:11

66:17 67:3 77:19,22

80:18 81:10,22 82:6

85:17 86:6,10 88:17

88:21 95:6,19 103:16

104:9 118:8 130:18

142:7 191:8,9 203:15

204:2 207:14,16

209:1 211:1,9,16

217:4 220:5 221:4,17

230:18 236:1 245:4

249:4 258:18 270:13

270:17 278:5

understanding 12:8

103:2 105:12 117:1

248:13

understate 258:14

understood 190:21

266:4

undertook 191:5

undocumented 110:21

128:9

unique 208:5

universally 266:2

University 1:18 8:20

unknown 37:7 40:2

42:7 47:8 71:12 76:14

77:1 110:21 128:8

176:3,7 189:8

unnecessary 158:4

167:12 168:21 172:20

unreliable 69:22

unresolved 89:15 90:2

untested 47:20 138:6

212:9 217:19 240:16

unusual 56:20 241:21

upcoming 254:21

upfront 269:10

upgraded 273:7

upkeep 221:15

uprate 176:9

urban 199:6 233:21

urged 164:3

urgency 167:2

urges 197:21

urging 194:11

usage 171:14

USC 178:21

use 12:21 20:17 30:14

31:12 40:2 43:12

44:16 48:17 49:6,8

50:5 51:17 52:10 53:8

59:15 60:11 62:17

67:1 75:1 76:2 111:3

115:8 122:22 123:1,1

124:22 128:12 141:19

141:22 164:15 173:13

174:13 175:4 176:2

177:2 197:5 198:15

203:18 215:12 239:11

249:19 251:3 258:10

271:7 276:10 277:7

277:14

useful 69:9 249:3,6

usually 243:15

utilities 1:12,21 4:20

9:18 200:8,10 233:12

Utility 1:13,19 8:12

126:1

utilization 175:19

utilizes 179:11

V

v-notch 44:8,17 176:20

valid 31:13,14,15 70:6

158:1 166:12 168:1

168:10 170:11 188:13

197:3 218:4,6,11,13

218:14,18 219:9,10

219:19,20 221:1

226:4 227:15 267:15

276:13

validate 56:10 178:13

validated 53:14 112:16

129:11 146:4

validates 159:22

251:11

validity 55:18 56:3

181:19 196:20

valuable 60:6 61:17

63:17

value 12:21 70:1

values 176:16 177:4,9

177:16 248:12 251:17

251:20 252:2

valves 39:16 146:13

vantage 115:3

vaporizes 107:11

variable 69:13

variation 47:7

variety 222:8 251:1

various 14:10 55:13

87:19 153:12,13

215:19,21 258:11

259:20

vary 176:22

varying 168:16

vast 41:13 69:15 237:4

237:4

vendors 255:19

verbatim 261:1

verifiable 31:13 51:12

101:17 157:21 170:10

176:2

verification 11:22 20:10

20:14,15 21:20,21

22:2 32:11 38:15 49:3

53:7,10 63:7 68:15

109:10,18 110:1,9,18

111:10 112:10 127:8

127:13,19 128:1,5,20

129:6 136:22 158:13

158:15 159:17 160:15

162:8 163:19 166:20

167:16 179:3,5 182:3

189:11,13 190:19

255:15 267:2 278:15

verifications 280:8

verified 39:17 40:7

47:18 51:1 178:6

179:14

verify 39:5,10 91:18

110:16 128:4 146:14

157:11 158:3,18

160:5 169:4 179:7

256:1

verifying 48:5 109:19

127:14 168:6 178:20

versus 65:5 69:21

92:11 99:3 176:2

233:8

vessel 256:14

viable 198:7 259:15

Vice 8:15,21 9:5,7,10

9:14

view 30:20 64:3

viewed 157:8

vii 181:12

vintage 47:1 52:9

176:19 177:1

violation 64:3

Violations 228:6

Virginia 1:10,19 8:10

voiced 168:15

voluntarily 119:22

vote 11:19 12:2 15:16

16:10,14,16 18:9,22

18:22 19:3,15 20:4

23:5 29:2,9 31:4 81:4

93:1,3,9,14,16 94:15

94:20,21 95:10,22

96:5,7,9 97:18 98:1,7

101:3,8 102:4 103:4

103:19 104:2 106:12

108:9 123:18 130:16

130:21 132:5 134:15

246:3 264:10,12

vote-taking 130:19

voted 95:10 134:14

146:11

votes 20:4,5 21:9

voting 3:6 15:14,17

62:5 80:13,14 92:18

94:20 96:15,17,19

99:7 107:18

W

W 1:11,12,18

wait 25:21 54:20

waiting 83:20 94:15

98:14

wake 245:15

wall 38:5 42:12 51:14

58:1 76:16 79:16

87:11,12,13,19

141:11 257:3 273:14

273:19 277:15 279:17

wanted 12:15 14:14

24:22 25:11 66:15

67:20 71:14 79:7

84:18 93:2,21 99:15
 101:10 114:9 132:12
 145:14 150:8 201:1
 201:19 203:12 244:17
 269:3 277:6
wanting 76:13 77:6
 233:1
wants 60:10 234:1
 264:12
Washington 1:12 4:20
wasn't 215:10 262:20
watching 30:2
water 29:19 256:9
waving 279:12
way 8:1 13:21 30:8
 41:19 62:4 66:7,14
 76:19 81:17 86:11
 90:17 99:3,15 102:11
 104:2,12,17 105:3
 121:11 133:7,17
 144:18 179:8 185:19
 186:4 213:11,18,22
 229:9,12 234:7
 237:13 238:14 239:18
 240:1,1 241:11 244:6
 252:7 257:9 260:5
ways 58:17 106:2
 125:10 235:15
weak 257:6
weather 19:8 23:21
 30:2
webinars 139:16
website 7:14
weekly 254:4,5
weigh-in 133:2
weight 57:5
Welcome 135:18
weld 45:17 69:15 75:17
 271:3
weldability 75:14
welding 44:19,21 66:22
 69:13
welds 154:3,3
well-dedicated 57:10
went 34:16 40:11,20
 43:18 45:20 46:2
 60:15 87:1 89:10
 134:8,9 139:15,17
 142:5 155:3 215:21
 219:19 246:7,8 280:7
weren't 207:9 277:17
Whetsel 2:10 11:4,5
 15:12,19
white 231:19
whoops 111:1
Williams 2:1 9:5 69:4
 115:22 119:8 126:21
 204:19 210:15 221:8

236:14 244:22 263:4
 266:8 275:8 278:19
win 236:8
wind 80:3
window 162:11
wise 40:11,11
wish 17:14 67:8 261:10
witch 99:18
withdraw 155:17 184:1
withstand 178:12
wonder 71:4 77:19
 81:18 107:11 207:18
 210:19 232:8 270:11
wondering 85:20 90:7
 272:3
word 30:13 75:8 227:18
word-smithing 13:14
wording 63:20 91:15
 156:13 231:20 247:16
words 13:7,15 47:3,22
 48:15,19 49:5,14 51:4
 51:5 52:8 53:17 62:10
 62:14 76:16 78:21
 87:4 88:11 96:21
 97:11,12 110:3
 111:21 112:11,15,18
 113:3 140:2,5,11
 141:11,15 149:1
 151:17 152:6 215:9
 217:12
wordsmith 99:15
wordsmithing 99:13
wordy 16:10
work 8:4 24:15 67:14
 68:14 70:6 73:17
 89:12 100:12 106:1
 123:17 134:4 222:6
 224:5 241:14 242:4
 242:12 247:14,21
 248:22 260:6,10
workable 89:8
worked 58:15 61:13
 82:20 180:13 212:6
working 18:17 67:16
 86:5 124:18 213:12
 224:3 234:12
works 61:16 114:5
world 58:11 83:1 233:9
worried 265:22
worry 81:11
Worsinger 1:21 9:16,16
 131:12,13 243:19,19
 268:21
worth 212:20 215:10
wouldn't 98:21 222:22
 226:17 241:20 273:21
wrinkle 106:12
write 76:19 88:12 91:16

193:15 201:7
writes 201:3
writing 13:22 62:12
 76:22 272:11
written 6:1 92:8 99:4
 156:10,17 192:17
 193:4 198:19 219:1
wrong 207:20 253:14
 257:4 259:1
wrote 150:11 228:1
 230:15
www.regulations.gov
 7:16

X

Xcel 1:16 9:14

Y

yard 30:12
year 12:6 25:3 40:19
 41:2,6,13 61:14 63:5
 65:10 138:22 145:8
 145:13 151:9,11,12
years 32:10 58:12,16
 58:20 60:8 62:10,13
 74:6 92:12 115:20,20
 116:3,5 124:18
 152:19 160:6 166:20
 167:1,2 171:3 172:8
 172:10,12,13,22
 173:4,6 180:14 183:4
 185:5 209:16,17
 211:12 221:13 226:16
 240:9 242:6 243:3
 254:19 260:13
yesterday 4:10 195:22
yield 33:7 42:13 43:7,10
 43:13,14 44:2 46:6,9
 46:12,14 51:15 144:7
 175:22 249:9 269:9
 269:21
York 1:15 2:19 135:13
 197:19

Z

Zamarin 2:1 9:4,4 69:3
 69:3 71:18 72:4,13,20
 73:4,7 94:11 95:4
 96:4 100:15 115:21
 115:22 116:2,7,13
 119:5,7,7 125:14,19
 126:19,21,21 131:4,5
 204:17,19,19 205:2
 207:5,21,21 210:14
 210:14 221:7,7 223:7
 236:13,13 244:21,22
 263:3,4 266:7,8,18
 267:1,4,7,22 268:3

275:7,8 278:19,19
zero 35:11,11 69:17
Zoning 1:18

0

0136 7:10

1

1-foot-pounds 176:15
1-percent 244:16
1,000 200:18
1,030 35:4
1,034 35:4
1,100 34:10
1,900 33:20
1.0 194:1
1.1 179:21 253:22
1.25 36:17 139:6 147:14
 148:1,18 179:19
 188:12 218:4,20
 253:10
1.39 154:7
1.5 218:20
1/Class 116:21 118:18
 122:5
1:30 134:6
1:33 134:10
10 3:4 120:9 142:22
 153:14 195:16,19
 231:10 246:5,12
 247:11
10-inch 217:7
10-minute 246:2
10-percent 147:7 149:4
 150:22
10,000 40:17 43:8
10:30 89:3
10:32 89:10
100 151:11 216:19,20
 264:18 271:15
100-foot 216:20
100-percent 154:6,8
 274:2
104 145:8
105 153:10 154:7 269:8
 271:15,16
105-percent 153:19,22
 271:13
11 3:5 33:11 124:17
 143:2
11:42 134:9
1100 144:10
12 57:10 180:14
1200 220:22
1200- 220:21
127 7:15
13-foot-pounds 251:21
13-year 40:16

1300 149:22 150:5
134 3:13
135 3:17
139 271:16
14 1:8
140 271:16
15 3:6 25:16 26:18 34:7
 41:4 116:3 151:12
 160:6 163:22 166:20
 167:1,2 281:8
15-minute 89:4 132:14
15-year 162:11 199:3
150 144:21 149:2 150:9
 156:4 216:1 253:17
150-feet 149:16 216:3
150-foot 149:20
1664 142:14
17 3:7 59:3 91:11 240:9
 242:6 260:13
1761 144:13
178 41:12
18 34:9 41:6 145:11,12
 172:8,12 173:3 185:4
18-month 171:7
180 52:19 180:16 185:7
180-day 111:22
19 34:5
192 49:11 51:11 194:4
 220:14
192.105 42:11
192.107 37:10 176:11
192.107(b)(2) 176:4
192.1119 164:19
192.113 194:2
192.264(b) 184:12,14
192.3 192:9 193:5,12
 202:4,8,12
192.5 19:20
192.503 155:6,14
192.503(a)(1) 155:18
192.505(c) 185:2
192.506 137:4 153:1
192.519(c) 34:1
192.605 110:12
192.607 49:2 127:5,18
 159:19 160:3 184:19
192.607(d)(3)(I) 130:8
192.607(d)(iii) 70:9
192.611 142:4 273:4
192.617(a)(4) 184:22
192.619 157:13,17
192.619(a) 156:20
 158:10
192.619(a)(3) 190:3,4
192.619(a)(4) 160:3
192.619(c) 141:7
 172:15
192.619(e) 161:6 184:4

192.624 20:15 127:15
 127:19 137:2 156:18
 157:16 160:4,22
 161:12 166:11 167:16
 168:3 170:7 178:2,7
 183:13,21 184:11
 193:16,21 276:22
192.624(a) 160:14,20
192.624(c) 181:7
 255:14
192.624(c)(1) 185:1
192.624(c)(2) 171:6,13
192.624(e) 171:20
 182:19
192.624(f) 183:9
192.67 20:14 22:7
192.710 169:8
192.917 165:3,11
192.917(e)(3) 165:15
196.624 157:3
1965 139:2 142:1 189:5
1967 191:6
1970 139:2 142:1 189:1
 189:5 190:20 197:9
 235:12 236:3
1971 145:11,12
1977 191:6
1994 256:17

2

2 22:13 34:7,14 81:6
 87:13 106:1 110:19
 116:21 118:18 122:5
 142:13,17 143:3,8
 147:3,21 156:15,18
 156:21 158:6,7 159:7
 171:4 172:1,2,16
 173:18 181:11 185:4
 190:18 193:15 215:22
 246:14 253:7,8 273:1
 273:6 274:13
2-inch 195:7 244:4
2,100 33:18
2,400 33:19
2.5 198:21
20 25:16 26:19 27:17
 31:19,21 60:18 62:13
 150:18 172:8 198:6
 209:17 230:11
20-and-30- 213:8
20-percent 233:18
 243:22
20-to-30-percent 229:3
20-year 266:12,20
 268:19
200 262:3
2003 162:12
2004 40:14 247:2

2007 58:16
2010 145:7
2011 25:8 32:6 35:15
 137:14 161:15,19
 163:7 182:3
2016 33:13 40:14
 247:15
2017 1:8 18:20 19:14
 235:13 281:8
222.7 19:20
23 25:7 31:19 32:6
 35:15 161:19 182:3
24 145:3 150:18 176:3
 176:10
24,000 37:12
25 195:10
250 195:15
27 41:6
281 3:19
285 19:20
29 3:11 62:17
2900 150:1,6 216:12

3

3 32:8 33:15,19 34:7,8
 34:13,14 36:6 81:6
 87:9,12 88:1,3 99:10
 99:11 101:20 112:14
 118:19 121:13 122:18
 140:2,19 142:13,17
 143:4,8,11,15 145:19
 146:6 147:4 148:7
 156:22 158:7 159:7
 161:20 162:19 163:17
 170:5 174:10 178:15
 179:17 180:1 188:10
 190:15 209:3 215:22
 222:19 223:12 256:6
 272:22 273:7 274:14
 278:9
3-inch 244:5
3/4 137:17
3/Class 117:11
3:49 246:8
30 30:19 84:1 150:19
 153:11 163:11 175:20
 176:6 195:2 206:5
 214:12 217:21 230:7
 230:12 241:6 247:17
 253:16
30- 173:20 174:2,6
 215:1
30-day 149:7 172:6
30-inch 45:6,7 145:3
30-percent 138:8 144:2
 144:3,7,13 149:1
 153:4 156:5 163:20
 174:1,5 198:5 199:1

200:1 205:21 212:12
 215:4,6 232:20 237:1
 243:22
30-percent-and-over
 213:9
300 150:3
300-foot 216:5
300,000 57:21
31.8 235:9
3200 144:8
37 218:2
38 136:10
39 136:14
3s 224:18

4

4 3:2 32:9 33:15,20 34:8
 34:9,15 36:6 64:22
 87:9,12 88:1,3 101:20
 117:11 121:13 122:18
 140:3,19 142:11,13
 142:18 143:5,8,16
 146:15,18 148:20
 156:22 158:7 159:8
 159:10,16 161:21
 162:19 163:17 170:5
 188:10 209:3 222:19
 223:12 272:22 273:7
 274:14 278:9
4-foot-pounds 251:22
4-inch 149:22 150:5,16
 216:13 244:5
4,500 33:14,20
4.5 203:8
4:06 246:9
4:30 261:14
4:43 281:6
40 137:12
400 150:3 199:2
44-45-foot 257:7
4400 144:11
45 143:2
4500 142:11
46 143:4
475 34:8
48 255:8
49 178:21 209:8,11,11
 255:8
4s 118:19 224:18

5

5 34:9 60:17 148:22
 149:14 150:11,22
 156:3 162:4 174:8
 181:6,12 185:4,22
 247:11 252:21 253:11
 253:21,22
5-foot-pounds 176:14

50 30:19 87:7,15 88:5
151:10 152:18 154:18
216:19
50-mile 87:5
500 216:17
503 154:13
503(a)(1) 184:2
505(c) 169:21 196:12
51 268:20,21
52 154:21
53 269:1
54 269:1
55 35:9 41:2 87:15
55,000 200:21
5L 39:13,14 43:18,20
44:1 45:20

6

6 43:21 149:6 164:16
180:6 186:7 216:14
247:1 255:12 256:6
262:18
6- 195:7
6-inch 149:21 150:5,16
216:12
6-month 19:1
60 61:15 65:10,12 87:15
136:14 180:9
601.39(d)(2)(B) 178:21
607 3:7 11:18,19 14:22
29:2,9 32:17 34:8
38:12 42:5 48:17
49:10 50:2 51:3,8
67:12,19 80:6 81:9
92:19 93:16 94:17
100:22 101:1,1,5
102:14 103:8,11
104:3 106:17,20
109:22 110:5 134:14
142:10 146:11 184:22
227:6 263:8 272:2
274:5 279:14 280:7
607(3)(I) 98:19 99:10
607(a) 48:14
607(c) 50:20,22
607(d) 52:2 53:3
607(d)(3)(iv) 53:11
607(d)(3)(I) 113:21
607(d)(3)(viii) 54:1
607(d)(iii) 85:18
610 30:1
611 142:3
619 100:21 156:11
157:5,9,10
619(a) 42:14 141:8,9,20
157:1 159:13
619(a)(1) 158:3,5,7
159:7

619(a)(2) 158:2 159:1
619(a)(3) 197:1
619(c) 141:21
619(e) 137:2 155:20
156:9 157:18 160:9
160:11,16
619(e)(5) 155:22
6200 142:14 144:16
214:1,8,9
624 11:18,21 49:5,6
78:19,21 80:3,4,6,12
80:18 81:5,8 88:6
93:8 95:13,15 96:5,6
97:21 98:5 100:22
101:12 102:15 103:8
103:22 104:4,8 105:8
105:10 106:9,16
109:20 110:1,3 115:4
115:4,7 116:3 134:16
151:8 155:8,8,12,14
155:15 156:3 157:5,7
157:11 160:6 161:14
165:16 167:12 169:5
174:14 183:11 184:5
192:8 197:12 202:2
202:10

624(a) 155:21 163:9
164:2 170:8 184:9
624(a)(1) 163:1 164:18
165:22 167:20 184:16
624(b) 151:9 166:15
167:6,18
624(b)(3) 160:8
624(c) 147:12 177:20
624(c)(1) 169:20
624(c)(1)(ii) 169:14
624(c)(1)(iii) 170:3
181:11
624(c)(2) 173:2,20
624(c)(3) 178:16 180:3
180:4
624(c)(3)(i)(B) 176:13
624(c)(3)(i)(C) 175:21
624(d) 181:1,5,13
624(f) 183:5,11
660 142:21
68 145:10 190:1

7

7 25:7
71 236:4
713 101:1
730 149:20 150:4
216:16
750 195:14

8

8 3:3 144:11,12 149:3

156:4 166:20 216:14
253:18
8- 195:7
8-inch 144:6,20 147:8
149:12,19 150:2
214:12 215:1,1,4,5
216:16 217:7 230:20
8,000 141:2
8:30 1:10
8:33 4:2
800 40:19 41:15
811 1:20 8:10
87 34:6

9

90 52:19 71:19 72:1,2
72:11,18 73:11
111:16 114:9 129:1
180:17 185:7
90- 112:2
90-day 73:3
917 45:14
917(e)(3) 164:19 165:12
165:18
917(e)(4) 171:1
929 101:1
95 52:16 54:16 89:7
91:1
95- 113:18 128:15 177:9
95-percent 89:18 90:4,8
111:5 130:6
95/5 55:17
950 1:10

C E R T I F I C A T E

This is to certify that the foregoing transcript

In the matter of: Meeting of the Gas Pipeline
Advisory Committee

Before: Pipeline and Hazardous Materials Safety Admin.

Date: 12-14-17

Place: Arlington, VA

was duly recorded and accurately transcribed under
my direction; further, that said transcript is a
true and accurate record of the proceedings.



Court Reporter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701